

Department of Labor & Workforce Development

DEPOSITION OF HEARING

Taken September 19, 2018



615.221.1089

1 STATE OF TENNESSEE
2 DEPARTMENT OF LABOR AND WORKFORCE DEVELOPMENT
3 BOARD OF BOILER RULES
4
5

6
7 QUARTERLY MEETING OF THE
8 STATE BOARD OF BOILER RULES
9

10 September 19, 2018
11
12
13
14
15
16
17
18
19

20
21
22 ELISABETH A. MILLER LORENZ, RMR, CRR, LCR# 66
23 STONE & GEORGE COURT REPORTING
24 2020 Fieldstone Parkway
25 Suite 900 - PMB 234
Franklin, Tennessee 37069
615.221.1089

<p style="text-align: right;">Page 2</p> <p>1 APPEARANCES:</p> <p>2 Brian R. Morelock, Chairman Owner-User Representative</p> <p>3</p> <p>4 David W. Baughman, Board Member Owner-User Representative</p> <p>5</p> <p>6 Dr. S. Keith Hargrove, Mechanical Engineer Representative</p> <p>7</p> <p>8 Harold Bowers, Insurance Representative</p> <p>9 Terry Fox, Boilermaker Representative</p> <p>10</p> <p>11 Sam Chapman, Chief Boiler Inspector</p> <p>12 Jeffrey Henry, Board Member</p> <p>13</p> <p>14 Chris O'Guin, Boiler Inspector</p> <p>15</p> <p>16 Kim Y. Jefferson, Esq. Administrator, State of Tennessee</p> <p>17</p> <p>18 Dan Bailey, Esq. Legal Counsel, State of Tennessee</p> <p>19</p> <p>20 Lynn Kirby Board Secretary, State of Tennessee</p> <p>21</p> <p>22</p> <p>23</p> <p>24</p> <p>25</p>	<p style="text-align: right;">Page 4</p> <p style="text-align: center;">P R O C E E D I N G S</p> <p>1</p> <p>2 CHAIRMAN MORELOCK: I'm going to call</p> <p>3 this September Tennessee Board of Boiler Rules to</p> <p>4 order. If you have an agenda, you can certainly</p> <p>5 follow along with that. So with all that said, the</p> <p>6 first order of business -- we've called the meeting</p> <p>7 to order.</p> <p>8 A couple things I want to say is, first</p> <p>9 off, I want to tell you how glad I am to see</p> <p>10 Terry Fox with us today, so we're very pleased to</p> <p>11 have him with us. Make sure you go by and shake</p> <p>12 Terry's hand. It's just a remarkable story, so I'll</p> <p>13 leave that at that.</p> <p>14 I also want to thank Mr. Dave Baughman</p> <p>15 for chairing the August meeting that we rescheduled</p> <p>16 from June. He did a fine job from what I</p> <p>17 understand, so I thank you for that, sir.</p> <p>18 Are there any other announcements that</p> <p>19 people would like to make at this time?</p> <p>20 Our next order of business will be</p> <p>21 introductions and announcements, and we'll start</p> <p>22 with our reporter.</p> <p>23 MS. LORENZ: I'm Elisabeth Lorenz. I'm</p> <p>24 the court reporter.</p> <p>25 MS. KIRBY: I'm Lynn Kirby. I'm the</p>
<p style="text-align: right;">Page 3</p> <p style="text-align: center;">I N D E X</p> <p>1</p> <p>2</p> <p>3 Attached at end:</p> <p>4 Meeting Agenda</p> <p>5 Meeting Sign-in Sheet</p> <p>6</p> <p>7</p> <p>8</p> <p>9</p> <p>10</p> <p>11</p> <p>12</p> <p>13</p> <p>14</p> <p>15</p> <p>16</p> <p>17</p> <p>18</p> <p>19</p> <p>20</p> <p>21</p> <p>22</p> <p>23</p> <p>24</p> <p>25</p>	<p style="text-align: right;">Page 5</p> <p>1 board secretary.</p> <p>2 MR. O'GUIN: Chris O'Guin, state</p> <p>3 inspector.</p> <p>4 MR. CHAPMAN: Sam Chapman, chief</p> <p>5 inspector.</p> <p>6 MR. BOWERS: Harold Bowers, board</p> <p>7 member.</p> <p>8 DR. HARGROVE: Keith Hargrove, board</p> <p>9 member.</p> <p>10 CHAIRMAN MORELOCK: Brian Morelock,</p> <p>11 board member.</p> <p>12 MR. BAUGHMAN: Dave Baughman, board</p> <p>13 member.</p> <p>14 MR. FOX: Terry Fox, board member.</p> <p>15 MR. HENRY: Jeff Henry, board member.</p> <p>16 MS. JEFFERSON: Kim Jefferson,</p> <p>17 assistant commissioner.</p> <p>18 MR. BAILEY: Dan Bailey, legal counsel.</p> <p>19 MR. PAOLUCCI: Anthony Paolucci, plant</p> <p>20 manager at Sofix LLC.</p> <p>21 MR. TOTH: Marty Toth, ECS Consulting</p> <p>22 and Boisco Training Group.</p> <p>23 MR. FRADY: Anthony Frady, tech service</p> <p>24 manager, Sofix LLC.</p> <p>25 MR. REYNOLDS: Sean Reynolds,</p>

<p style="text-align: right;">Page 6</p> <p>1 Sofix LLC.</p> <p>2 MR. MALONE: Tim Malone,</p> <p>3 Eastman Chemical.</p> <p>4 MR. MENZEL: Correy Menzel,</p> <p>5 Eastman Chemical.</p> <p>6 MR. BABEL: Matt Babel,</p> <p>7 Eastman Chemical.</p> <p>8 MR. SANDERS: Jeremiah Sanders,</p> <p>9 Eastman Chemical.</p> <p>10 MS. SNYDER: Mary Snyder,</p> <p>11 Eastman Chemical.</p> <p>12 MR. MCDAVID: Ed McDavid,</p> <p>13 Eastman Chemical.</p> <p>14 MR. MCCOY: Allan McCoy, chief</p> <p>15 inspector at Eastman Chemical.</p> <p>16 MR. RENFRO: David Renfro,</p> <p>17 Eastman Chemical.</p> <p>18 MR. HILLMAN: Randall Hillman,</p> <p>19 Eastman Chemical.</p> <p>20 MR. ESTEPP: Jeff Estep,</p> <p>21 Eastman Chemical.</p> <p>22 MR. ADKINS: Bill Adkins, manager of</p> <p>23 field services, Hartford Steam Boiler.</p> <p>24 MR. HOLT: Tim Holt, state boiler</p> <p>25 inspector.</p>	<p style="text-align: right;">Page 8</p> <p>1 MR. CHANDLER: William Chandler,</p> <p>2 Hartford Steam Boiler.</p> <p>3 MR. BOWMAN: Scott Bowman,</p> <p>4 Hartford Steam Boiler, loss control inspector.</p> <p>5 MR. RAINEY: Randy Rainey, Buckman.</p> <p>6 MR. CONNER: Andrew Conner, ACTEMMx.</p> <p>7 MR. SMITH: Jesse Smith, state boiler</p> <p>8 inspector.</p> <p>9 MS. BARNETT: Doris Barnett, state IT.</p> <p>10 MR. O'BRIEN: Dan O'Brien,</p> <p>11 East Tennessee State University.</p> <p>12 MR. ELROD: Todd Elrod, East Tennessee</p> <p>13 State University.</p> <p>14 MR. HUDGINS: Ernie Hudgins,</p> <p>15 Engineering Services Group.</p> <p>16 MS. BENNETT: Carlene Bennett, boiler</p> <p>17 unit.</p> <p>18 MS. BAKER: Tiffany Baker, boiler unit.</p> <p>19 CHAIRMAN MORELOCK: Okay. Who did I</p> <p>20 miss?</p> <p>21 MR. BAILEY: Two in the back just came</p> <p>22 in.</p> <p>23 MS. DURM: Leanne Durm, legislative</p> <p>24 liaison for the department.</p> <p>25 MS. RHONE: And I'm Deborah Rhone,</p>
<p style="text-align: right;">Page 7</p> <p>1 MR. SITZ: Sam Sitz, state boiler</p> <p>2 inspector.</p> <p>3 MR. PERRY: Steve Perry, state boiler</p> <p>4 inspector.</p> <p>5 MR. HARKINSON: Nathaneal Harkinson,</p> <p>6 loss control inspector, Hartford Steam Boiler.</p> <p>7 MR. LASHLEY: Micah Lashley, loss</p> <p>8 control inspector, Hartford Steam Boiler.</p> <p>9 MR. MASSENGALE: Ray Massengale,</p> <p>10 McKee Foods Corporation.</p> <p>11 CHAIRMAN MORELOCK: In the back.</p> <p>12 MR. NEUMANN: Mark Neumann, state</p> <p>13 boiler inspector.</p> <p>14 MR. GAFFORD: Mike Gafford, state</p> <p>15 boiler inspector.</p> <p>16 MR. WORD: Dallas Word, state boiler</p> <p>17 inspector.</p> <p>18 MR. KELLY: Randall Kelly, state boiler</p> <p>19 inspector.</p> <p>20 MR. SIMPSON: Justin Simpson, state</p> <p>21 boiler inspector.</p> <p>22 MR. DICKERSON: Richard Dickerson,</p> <p>23 state boiler inspector.</p> <p>24 MR. PETERS: Danny Peters, state boiler</p> <p>25 inspector.</p>	<p style="text-align: right;">Page 9</p> <p>1 Department of Labor in the boiler unit.</p> <p>2 And I wanted to introduce the new staff</p> <p>3 members for the boiler unit. One of them is out</p> <p>4 with the registration, Deon Bell. And also</p> <p>5 Carlene Bennett and Tiffany Baker, they've joined</p> <p>6 the boiler unit.</p> <p>7 So we have boiler beauties, but I did</p> <p>8 want everybody to know too, they can turn into</p> <p>9 killer bees. The reason why we say killer bees is</p> <p>10 because all of them -- their last names happen to</p> <p>11 start with B, Baker, Bell, and Bennett. I'm happy</p> <p>12 to have them part of the team. Thank you.</p> <p>13 CHAIRMAN MORELOCK: All right. Have I</p> <p>14 missed anybody? Okay.</p> <p>15 Again, I want to welcome everyone.</p> <p>16 This is a great group of people. Thanks for being</p> <p>17 here. I look forward to the items we're getting</p> <p>18 ready to discuss.</p> <p>19 So moving on, I do have a quick safety</p> <p>20 announcement. In the event of emergency or natural</p> <p>21 disaster, security personnel will take attendees to</p> <p>22 a safe place in the building or direct them to exit</p> <p>23 the building on the Rosa Park side. So there's your</p> <p>24 safety moment for this morning.</p> <p>25 Moving on to adoption of the agenda, I</p>

<p style="text-align: right;">Page 10</p> <p>1 do have one change to the agenda, and that would be 2 Item 18-09. This is the unilever item, which was a 3 request for three vessels that were not built to 4 ASME code to become Tennessee specials. This item 5 will be removed from the agenda per conversation 6 with the chief inspector, Sam Chapman, and review of 7 the documentation.</p> <p>8 All of these vessels are exempt per 9 Tennessee Code Annotated 68-122-105, 10 Subparagraph (a), Subparagraph (5) that unfired 11 pressure vessels having a volume of five cubic feet 12 or less are exempt. So those vessels are exempt, so 13 this item will be removed from the agenda.</p> <p>14 Are there any other changes or 15 additions or corrections to the agenda?</p> <p>16 All right. Hearing none, do I have a 17 motion to accept the agenda as modified?</p> <p>18 MR. FOX: I'll make a motion. 19 CHAIRMAN MORELOCK: I have a motion. 20 Do I have a second? 21 MR. BOWERS: Second. 22 CHAIRMAN MORELOCK: Any other 23 discussion? All in favor say aye. Opposed? 24 Abstentions, not voting? 25 We have an agenda.</p>	<p style="text-align: right;">Page 12</p> <p>1 I've got some other things I want to 2 put out.</p> <p>3 We have Michael Ryan at the national 4 board taking the national board exam. We have -- 5 all the inspectors are working on their continuing 6 education for the commission for the end of the 7 year.</p> <p>8 We have one open position in 9 West Tennessee, and we have had -- we kicked off our 10 conference Monday, and so far we have had Marty Toth 11 that's given us some training, and Molson's Mobile 12 Unit to perform training with.</p> <p>13 So far we have an exciting week going 14 on. We have a day and a half left of training. 15 Chris O'Guin will give the boiler variance report, 16 and that's the chief report.</p> <p>17 CHAIRMAN MORELOCK: Any questions of 18 Mr. Chapman? Comments? 19 MR. BAUGHMAN: Mr. Chapman, that 69,715 20 vessels, that includes fired, unfired, all vessels? 21 MR. CHAPMAN: All vessels, active 22 vessels. 23 MR. FOX: Thank you. 24 CHAIRMAN MORELOCK: Any other 25 questions?</p>
<p style="text-align: right;">Page 11</p> <p>1 Moving on to Item 3 -- I'm sorry, 2 Item 4, which is approval of the August 8, 2018, 3 meeting minutes. I do have an e-mail from the court 4 reporter apologizing for not being able to publish 5 those minutes prior to this meeting, so the board 6 has not had an opportunity to review those minutes.</p> <p>7 So I would like to table approval of 8 these August minutes to the December quarterly 9 meeting of the Tennessee board, and we will add 10 those to the approval process for the August as well 11 as this September meeting in December.</p> <p>12 Moving on to Item 5, chief boiler 13 inspector's report, so, Mr. Chapman, I'll turn it 14 over to you.</p> <p>15 MR. CHAPMAN: Thank you. 16 Number of inspections: State 17 inspector, 2,919; insurance agent, 5,912; giving us 18 a total of 8,911 inspections.</p> <p>19 Number delinquent, we have a total of 20 69,715 total vessels. We have 1,700 -- excuse me, 21 1,215 inspections that's delinquent for the state, 22 and 455 from the insured. That's giving us a total 23 of 1,671 delinquent.</p> <p>24 We have 27 code violations that was 25 found. There are 6 uncorrected at the moment.</p>	<p style="text-align: right;">Page 13</p> <p>1 Mr. O'Guin, give your report. 2 MR. O'GUIN: As of today, we have 117 3 known variances in the state. 9 percent require a 4 follow-up inspection. 46 percent are active. 5 5 percent require reinspection. And we have 6 38 percent that no longer require a variance.</p> <p>7 This quarter we completed one variance 8 audit with one approved, which was 9 American Greetings.</p> <p>10 And Mr. Bowers asked last meeting what 11 the No. 54 -- the 46 percent was. That number is 12 how many active variances we have in the state. 13 That's all from that report.</p> <p>14 CHAIRMAN MORELOCK: Any questions or 15 comments for Mr. O'Guin? 16 Okay. Thank you very much. 17 That will take us on to Item No. 7, 18 which is old business. So our item is 18-06 from 19 Sofix, which is located on 2800 Riverport Road in 20 Chattanooga, Tennessee. They're requesting a new 21 variance for one vessel to operate under the 22 requirements of Chapter 0800-03-03.08(11), which is 23 the boiler attendant rule.</p> <p>24 So couple things before we start this 25 item. One, I didn't mention this in the</p>

<p style="text-align: right;">Page 14</p> <p>1 announcements. If you have a cell phone, would you 2 please put that on vibrate or silence out of respect 3 for the presenters and conversations.</p> <p>4 Two, whether you're presenting an item 5 or you have a question or a comment from the 6 audience, you're certainly welcome to provide that, 7 but please state your name and your company so our 8 reporter can properly capture that. And make sure 9 you speak to where she can hear you.</p> <p>10 If I can hear you, then I know she can 11 hear you, so make sure that I can hear you.</p> <p>12 Gentlemen, with that, you go ahead and 13 present your item.</p> <p>14 MR. TOTH: Good morning, Mr. Chairman, 15 members of the board.</p> <p>16 MR. BAILEY: Mr. Chairman.</p> <p>17 CHAIRMAN MORELOCK: Thank you. That's 18 the other item. Before we present an item, I need 19 to ask for conflicts of interest.</p> <p>20 Does the board have a conflict of 21 interest?</p> <p>22 MR. FOX: I will have one.</p> <p>23 CHAIRMAN MORELOCK: You will have one?</p> <p>24 MR. FOX: Yes.</p> <p>25 CHAIRMAN MORELOCK: So you know that</p>	<p style="text-align: right;">Page 16</p> <p>1 registrations with numerous safety, environmental, 2 and health international organizations.</p> <p>3 They've done a great job in maintaining 4 their safe boiler since it was put in place. They 5 have a Cleaver-Brooks. It's a 1991 fire tube 6 boiler. It's a 300-horsepower with a MAMP of 7 150 psi. Their operating pressures are between 90 8 and 115 psi.</p> <p>9 They also utilize the 10 Fireye BurnerLogix System as their primary safety 11 control. If the variance is approved, their remote 12 station will be located in the gatehouse, which is 13 approximately 550 feet from the boiler room.</p> <p>14 It will be manned 24/7 during the 15 operation of the boiler variance by qualified remote 16 attendants that serve the position as security 17 guards.</p> <p>18 CHAIRMAN MORELOCK: With that 19 presentation, do I have a motion to discuss this 20 item?</p> <p>21 MR. BAUGHMAN: Motion to discuss.</p> <p>22 CHAIRMAN MORELOCK: Second?</p> <p>23 DR. HARGROVE: Second.</p> <p>24 CHAIRMAN MORELOCK: I'm opening up the 25 floor for questions or comments for this request for</p>
<p style="text-align: right;">Page 15</p> <p>1 you will not vote?</p> <p>2 MR. FOX: I will not vote.</p> <p>3 MR. BAILEY: What is the conflict?</p> <p>4 MR. FOX: I've done some work for them.</p> <p>5 MR. BAILEY: During the discussion, you 6 can take part in the discussion so long as it 7 doesn't relate to the conflict, but you cannot take 8 part in the vote.</p> <p>9 MR. FOX: Exactly.</p> <p>10 CHAIRMAN MORELOCK: With that said, 11 proceed.</p> <p>12 MR. TOTH: Thank you, Mr. Chairman, 13 members of the board. It's a pleasure to sit on 14 this side of the desk in front of this distinguished 15 group.</p> <p>16 My name is Marty Toth. I am with 17 ECS Consulting and the Boischo Training Group. I'm 18 here today to represent Sofix LLC for their 19 variance.</p> <p>20 Just a little bit of background 21 information for you. Sofix started operations in 22 the Chattanooga area in 1992. At that time, they 23 were issued a remote variance from this very board.</p> <p>24 Since that time, Sofix has taken great 25 strides in getting qualified and representations and</p>	<p style="text-align: right;">Page 17</p> <p>1 a boiler variance.</p> <p>2 MR. TOTH: And, Mr. Chairman, if I may 3 add, I'd like to introduce the other representatives 4 here with me today.</p> <p>5 CHAIRMAN MORELOCK: Certainly.</p> <p>6 MR. TOTH: To my left, I have 7 Mr. Anthony Paolucci, he is the plant manager; 8 Mr. Sean Reynolds, who is the EHS manager; seated 9 behind us is Mr. Anthony Frady, who is the service 10 technician manager, to answer any additional 11 questions that you may have.</p> <p>12 CHAIRMAN MORELOCK: Very good. 13 What questions do you have?</p> <p>14 MR. FOX: You stated that at the remote 15 station, at the shutoff station, that's manned by 16 security guards?</p> <p>17 MR. TOTH: Qualified, yes.</p> <p>18 MR. FOX: What makes them qualified?</p> <p>19 MR. TOTH: They will be going through 20 training as a remote attendant of the 21 responsibilities for the remote attendant that are 22 listed under Section 3 of the manual and -- to 23 that -- to that end.</p> <p>24 MR. FOX: They are actually employees 25 of the company, or are they --</p>

<p style="text-align: right;">Page 18</p> <p>1 MR. TOTH: They are a third party, and 2 I'll let Mr. Paolucci add in if he has any 3 additional information. Honestly, I believe 4 Mr. Reynolds, that falls under his responsibility 5 for safety. 6 But with that, they are a third-party 7 company that is trained under the Sofix remote 8 attendant training policies. 9 THE WITNESS: They do have an assigned 10 post at Sofix, so we have the same security guards 11 every shift. 12 MR. FOX: All right. 13 MR. TOTH: And they're also -- just to 14 add on to that to comfort the board, there is a 15 process that will be put into place for not only 16 initial training of these individuals but continual 17 training on an annual basis. Also for any turnover, 18 there is a process put into place for training for 19 those security guard individuals. 20 You will not be able to man that post 21 if you are not certified as a remote attendant 22 through Sofix policies. 23 MR. BOWERS: So that's in their 24 official job description? It's an outside 25 contractor, correct?</p>	<p style="text-align: right;">Page 20</p> <p>1 MR. HENRY: But their actions are an 2 integral part of this overall safety program, so I 3 just want to make sure from a legal standpoint that 4 Sofix is accepting responsibility for their actions. 5 MR. PAOLUCCI: Yes. 6 MR. TOTH: If I may add, Mr. Henry, 7 this goes -- you see this a lot in boiler variances 8 where, yes, the owner-user takes ultimate 9 responsibility for their actions, absolutely. 10 MR. HENRY: Thank you. 11 MR. TOTH: Mr. Chairman, if I may add, 12 you will probably see, when you read through the 13 manual, that there are situations during 14 nonproductivity time or nonproduction time where the 15 remote attendant will shift roles from being remote 16 attendant to what we title as the boiler guard. And 17 the boiler guard has additional training above and 18 beyond the remote attendant training. Those 19 individuals will have to be qualified as a boiler 20 attendant. 21 In the glossary of terms, you'll see 22 the boiler attendant. For Sofix, there's a pretty 23 good laundry list of individuals. That's where I 24 mentioned in my opening remarks that Sofix takes 25 safety extremely seriously and feel that it is</p>
<p style="text-align: right;">Page 19</p> <p>1 MR. TOTH: Yes. 2 MR. BOWERS: That's in their official 3 job description that they'll be doing this boiler 4 stuff? 5 MR. TOTH: You will find that 6 information under Appendix G of the manual for the 7 security guards. 8 MR. HENRY: Since they are third party, 9 is Sofix accepting responsibility for all their 10 actions with regard to their duties? 11 MR. TOTH: I would let Mr. Paolucci 12 answer. 13 MR. PAOLUCCI: For their duties 14 assigned, yes. Their basic role is as remote 15 attendant. They are to acknowledge any alarm. And 16 then they have a set -- a list of instructions to 17 follow if they do get an alarm. 18 And basically that would be they've got 19 an emergency call list. They're not actually going 20 to be doing any troubleshooting on the boiler. 21 Their job is to call the person or the next person 22 on the list until they reach someone who can come 23 out who's qualified to troubleshoot the problem. 24 MR. TOTH: If I may -- go ahead, 25 Mr. Henry.</p>	<p style="text-align: right;">Page 21</p> <p>1 necessary for them to have multiple individuals 2 qualified as a boiler attendant. 3 Therefore, when the remote attendant 4 leaves the gatehouse, now the system -- the boiler 5 remote variance ceases to exist, and that individual 6 becomes a boiler attendant. The responsibility is 7 to do their rounds. Their rounds consist of them 8 visiting the boiler room, taking the readings at the 9 boiler room, returning to the gatehouse. 10 MR. BAUGHMAN: Mr. Toth, who is at the 11 gatehouse while they are making their rounds? 12 MR. TOTH: There is no one at the 13 gatehouse. And that's where, once they leave that 14 gatehouse, the remote variance then becomes void 15 until they return to the gatehouse. 16 So during that time -- if I may add, 17 during that time, they have monitored that boiler. 18 They have went to the boiler room and then returned. 19 There will be no time that that individual will be 20 away from the remote station longer than 20 minutes. 21 MR. BAUGHMAN: So in this facility, it 22 says they have areas both inside and outside the 23 property that they patrol, and they can accomplish 24 that and check the boiler within a 20-minute period 25 of time is what you're saying?</p>

<p style="text-align: right;">Page 22</p> <p>1 MR. TOTH: I will let Mr. Reynolds kind 2 of allude to the responsibilities for the security 3 guard's rounds. 4 MR. REYNOLDS: Yeah, they have rounds. 5 They walk through the warehouse, walk through the 6 plant, into the boiler rooms. That can all be 7 accomplished in less than 20 minutes. 8 I do it myself quite often as you can 9 tell. I'm rather chubby and kind of out of shape, 10 and I can make the rounds in about 10 to 12 minutes. 11 MR. BAUGHMAN: So playing devil's 12 advocate, while they're making their rounds and 13 there is an emergency elsewhere in the facility, who 14 mans that gatehouse? Who mans the station? 15 MR. REYNOLDS: Could you clarify what 16 type of emergency? 17 MR. BAUGHMAN: Make one up, fire, 18 medical, what have you, that requires security. 19 MR. REYNOLDS: Fire, medical, they're 20 probably going to be heading back to that gatehouse 21 that is requiring outside intervention, like calling 22 911, that would be done from that gatehouse that 23 operates the gate if there's an emergency. They're 24 not going to stay and fight a fire or anything like 25 that. They don't have that responsibility.</p>	<p style="text-align: right;">Page 24</p> <p>1 leave their responsibilities as an attendant more 2 than the 20-minute period. 3 So once they leave that guard house, 4 okay -- or gatehouse, then within that time frame, 5 as long as they do not surpass the 20-minute 6 requirement, they're within the allowances of the 7 law. 8 MR. BOWERS: Question, now, this -- 9 since the security guard is 24/7, is the plant run 10 24/7? 11 MR. TOTH: No, it does not. The plant 12 runs productivity from -- they have a day shift that 13 starts at 7 o'clock, ends at 5:30; then they have a 14 night shift that starts at 9 o'clock and ends at 15 7:30. So they actually have an overlap between the 16 night shift where we have the Sofix employee boiler 17 attendants on premises and the ones coming. 18 So there is a period between 5:30 and 19 9 o'clock where the security guard is required to be 20 a boiler attendant qualified individual. 21 MR. BOWERS: There's no time where the 22 security guard is the only person at that plant? 23 MR. TOTH: And I'll go ahead and allude 24 to Mr. Reynolds. 25 MR. REYNOLDS: Yes, sir, there are</p>
<p style="text-align: right;">Page 23</p> <p>1 MR. BAUGHMAN: Well, I just know under 2 the security guard job description it says, Maintain 3 station at gatehouse remote station unless an 4 emergency requires abandonment of the station. 5 So the word "probably" comes into play 6 instead of "they shall," and it does say that 7 there's the possibility of an emergency that would 8 require an abandonment of the station, which means 9 there's an abandonment of the attendant of the 10 boiler -- 11 MR. REYNOLDS: If that emergency did 12 arise where they had to leave the station, first 13 thing they'll do is pull the E-stop, shut the boiler 14 down. It's pretty simple as far as leaving that if 15 they have to leave the site. You can kill the 16 boiler -- 17 MR. BAUGHMAN: Is that in your manual 18 to identify that particular process of if you have 19 to leave for an emergency, somebody has to activate 20 the E-stop? 21 MR. REYNOLDS: I don't believe it's 22 actively stated in there. We can add it. 23 MR. TOTH: And if I may add, 24 Mr. Baughman, that issue only comes into play if 25 whatever causes them to leave the guard house or</p>	<p style="text-align: right;">Page 25</p> <p>1 times when the security guards are the only people 2 at the plant. 3 MR. BOWERS: One security guard? 4 MR. REYNOLDS: One security guard. 5 MR. BOWERS: For the whole plant? 6 MR. REYNOLDS: Yes. 7 MR. BOWERS: Is the boiler operating 8 during that time period? 9 MR. REYNOLDS: Yes, sir, it is. 10 MR. TOTH: And that's where -- 11 Mr. Bowers, that's where we get to the point of the 12 remote attendant that's at the gatehouse turning 13 into a boiler attendant during the rounds. 14 DR. HARGROVE: Question, as the plant 15 manager, how -- how do you provide, I guess, 16 oversight, monitored control with regard to security 17 access protocol to the control system with regard to 18 passwords, anything of that such based on the 19 schedule that was just described? 20 MR. PAOLUCCI: Well, there's -- the 21 security guard mans the gate. The gate stays 22 locked. 23 As far as access to the boiler room, is 24 that what you mean? There's no particular password 25 responsibility.</p>

<p style="text-align: right;">Page 26</p> <p>1 MR. TOTH: If I may add to that, 2 Mr. Hargrove, and Mr. Frady could back me up on 3 this. 4 The particular controls they have, the 5 Fireye BurnerLogix controls have password 6 protections for settings if that's what you were 7 alluding to. 8 DR. HARGROVE: Yes. 9 MR. TOTH: And those -- 10 DR. HARGROVE: Who are they, 11 individuals that have access to that? 12 MR. TOTH: I will ask Mr. Frady. 13 MR. FRADY: Yes, we have a password 14 list that's available for the managers' purposes. 15 There's three different passwords: One that you can 16 enter in and kind of look around, but there's one 17 password that we have that you can actually go in 18 and make changes. But if any changes are made, it's 19 usually our service techs from our boiler company 20 that does the maintenance. 21 So the security guards have no access 22 to them codes. 23 DR. HARGROVE: Okay. 24 CHAIRMAN MORELOCK: So during normal 25 production, do you have more than one security guard</p>	<p style="text-align: right;">Page 28</p> <p>1 MR. TOTH: We could have an act of God. 2 CHAIRMAN MORELOCK: I agree. 3 MR. REYNOLDS: If I may, their 4 supervisors control and check in with the guards on 5 the off-shift hours. There's a couple times in the 6 off shift where somebody's supervisor checks in and 7 makes sure everything is all right. 8 CHAIRMAN MORELOCK: They're on site, 9 right? Or are they off-site? 10 MR. REYNOLDS: They come on site. 11 CHAIRMAN MORELOCK: They come on site. 12 MR. REYNOLDS: They come on site, check 13 in with the guards for a 20-, 30-minute meeting. 14 They're checking in with their people. 15 CHAIRMAN MORELOCK: If need be, could 16 they come in and serve that role as remote monitor 17 and even boiler guard if need be? 18 MR. REYNOLDS: Not without training, 19 no. If push came to shove, one of two things is 20 going to happen. One of us is going to get up and 21 go serve as the remote attendant or just shut the 22 boiler down. 23 CHAIRMAN MORELOCK: That's where your 24 call list comes into play? 25 MR. REYNOLDS: Yes.</p>
<p style="text-align: right;">Page 27</p> <p>1 on site? 2 MR. REYNOLDS: We do. During our day 3 shift, we have one that his sole duty is to take the 4 reading every 20 minutes. 5 CHAIRMAN MORELOCK: So you do have 6 continuously manned remote station, and you have an 7 on -- stop boiler attendant during production? 8 MR. REYNOLDS: During day shift 9 production. At night, the remote attendant is 10 taking the boiler reading every 20 minutes. We're 11 operating under every 20 minutes, so that person is 12 at the boiler every 20 minutes. 13 CHAIRMAN MORELOCK: So to honor 14 Dr. Canonico, what if your guard on the 15 nonproductive night shift has a heart attack, has a 16 health issue, has a stomach virus, are you going to 17 rely on the boiler software to shut down the boiler 18 if there's a problem? That's what it sounds like to 19 me. 20 MR. TOTH: I'll be honest with you, 21 Mr. Chairman, the issue that comes up in that case 22 is not really something that I would believe that 23 this body would have control over because now we're 24 talking about employment individuals. 25 CHAIRMAN MORELOCK: I agree.</p>	<p style="text-align: right;">Page 29</p> <p>1 CHAIRMAN MORELOCK: So you could train 2 that boiler guard to use the call list if they had a 3 situation where they need to call you in? 4 MR. TOTH: If I can add to that, 5 Mr. Chairman, absolutely. Though the boiler guards 6 are trained in the same training that the Sofix 7 employees are trained, the individuals that report 8 directly to Mr. Frady, those boiler guards are 9 instructed, as you can see, through the emergency 10 procedures list. Their responsibility upon alarm is 11 to trip the boiler, okay, acknowledge the alarm. 12 Then they are to go to the boiler room to see that 13 there are no extenuating circumstances, that the 14 boiler has indeed shut down. 15 In that process, though, they have made 16 communication through their emergency list. They 17 are not going to restart that boiler even though 18 they have been through the boiler attendance class. 19 Mr. Henry, kind of going towards your 20 position on liability, Sofix has chosen to take the 21 position that they would prefer to have Sofix 22 employees restart the boiler versus having the 23 boiler guard, though they have been trained. 24 MR. BOWERS: Question is, you've got a 25 person at 1 o'clock in the morning or whatever,</p>

<p style="text-align: right;">Page 30</p> <p>1 between shifts has to shut the boiler down, what 2 does that do to -- say the boiler has to be down for 3 an hour while they get a handle on the situation, 4 what does that do to your production? 5 MR. PAOLUCCI: It really depends on 6 timing. If the boiler has to be down, there's only 7 one process that requires steam at a certain time. 8 We can work around that if we need to. We can stop 9 that process temporarily and resume it once the 10 boiler is back up. 11 It does create somewhat of an 12 inconvenience to production, but we can work around 13 it. 14 MR. BOWERS: Say it had to go down for 15 an hour. He's not feeling well. I'm shutting the 16 boiler down. I'm going to start calling people. 17 How does that affect the plant at, say, 18 3 o'clock in the morning? 19 MR. PAOLUCCI: It would definitely 20 create delays in production. 21 MR. TOTH: If I may add to that, 22 Mr. Bowers, I know you're using an example of 23 1 o'clock in the morning, 3 o'clock in the morning. 24 Let's remember that the productivity 25 times, production times for this company, the</p>	<p style="text-align: right;">Page 32</p> <p>1 change that protocol should the variance get 2 approved to how often? 3 MR. REYNOLDS: Well, as far as making 4 the rounds? 5 MR. BAUGHMAN: No, just on checking the 6 boiler. 7 MR. REYNOLDS: That's actually going to 8 be assigned every 2 hours to the guard, so there's 9 not -- if they miss a time, we're not going past the 10 4-hour regulation, and we were capturing every 11 2 hours. It may be 2-1/2 hours between readings, 12 but it's going to be multiple readings. 13 MR. BAUGHMAN: That will be for the 14 night shift also? 15 MR. REYNOLDS: Around the clock, yes, 16 sir. 17 MR. TOTH: Mr. Baughman, if you'll 18 notice, on Appendix F of the manual, it's your log, 19 your boiler log. The boiler log actually is a 20 24-hour log just for that very purpose if we have 21 additional readings. 22 MR. BAUGHMAN: Looking at the site plan 23 going from the gatehouse not knowing where they 24 patrol, but under job duties, it says they patrol 25 inside and outside the property.</p>
<p style="text-align: right;">Page 31</p> <p>1 mispoint of having actual employees on site for 2 Sofix is only from 5:30 to 9:00 p.m. The rest of 3 the time there are numerous operators that are -- 4 that will be trained and qualified as a boiler 5 attendant that will be on site. 6 So just to kind of add that into the 7 conversation. 8 Again, as I alluded to, Sofix is strong 9 on their safety, very strong. I was very impressed 10 during my tour of the facility, during my site 11 visit. They stress safety. That's why I have an 12 individual here that that's his sole responsibility 13 there at the plant. 14 So they're going to dump process to 15 make sure that they're safe. 16 MR. BAUGHMAN: You had mentioned 17 earlier, how often does the day shift check the 18 boiler? 19 MR. REYNOLDS: Currently on day shift, 20 we're checking it every 20 minutes. In fact, we're 21 doing the 20-minute checks 24 hours a day right now. 22 During the day shift, we have one extra security 23 guard on site because we have traffic coming in and 24 out of the front gate, which -- 25 MR. BAUGHMAN: And you're going to</p>	<p style="text-align: right;">Page 33</p> <p>1 MR. PAOLUCCI: Not the property. 2 Within the buildings of the property. 3 MR. BAUGHMAN: It doesn't say that 4 under job description, so that's why I mention it. 5 So it's both inside -- rephrase that 6 again so I can rewrite it, because in here it says 7 both inside and outside the property. 8 MR. PAOLUCCI: It's inside and outside 9 the buildings within the property. 10 MR. BAUGHMAN: Inside and outside the 11 buildings within the property. 12 MR. REYNOLDS: They're not going to be 13 walking off the grassy areas. 14 MR. BAUGHMAN: That's why I needed a 15 clarification because it -- 16 MR. PAOLUCCI: That's very good. 17 That's good. We can change that. It's the 18 interpretation of it, and I agree with your 19 interpretation that it could be confusing. 20 MR. BAUGHMAN: Very good. 21 Back to what Mr. Hargrove was speaking 22 on earlier on the technical end of it with the 23 passwords, do we have remote availability to be able 24 to log in to see what the controller is doing or 25 what the boiler is doing?</p>

<p style="text-align: right;">Page 34</p> <p>1 MR. FRADY: Yes.</p> <p>2 MR. BAUGHMAN: And how is that</p> <p>3 accomplished?</p> <p>4 MR. FRADY: It's a factory link that we</p> <p>5 have regardless of the -- the managers can -- even</p> <p>6 at home, we can get into the system and actually see</p> <p>7 readings of the boiler.</p> <p>8 MR. FOX: Can you make changes from</p> <p>9 your house?</p> <p>10 MR. FRADY: No.</p> <p>11 MR. PAOLUCCI: We can see actual boiler</p> <p>12 readings like steam pressure, but we cannot see the</p> <p>13 control settings or anything.</p> <p>14 MR. BAUGHMAN: Earlier he said one</p> <p>15 person could make changes is what he stated.</p> <p>16 MR. FRADY: Well, the service techs in</p> <p>17 boiler mechanical, they have the codes. If they get</p> <p>18 called in, they're the ones that make changes. They</p> <p>19 have access -- they know the codes.</p> <p>20 MR. BAUGHMAN: Can these changes be</p> <p>21 remotely looked at or accomplished?</p> <p>22 MR. FRADY: No.</p> <p>23 MR. BAUGHMAN: And how is the</p> <p>24 communication actually done since you can do this</p> <p>25 from home? Is this done via web, Internet</p>	<p style="text-align: right;">Page 36</p> <p>1 questions?</p> <p>2 MR. HENRY: Just one follow-up on</p> <p>3 Mr. Fox's point he made earlier.</p> <p>4 You had indicated in the circumstance</p> <p>5 where the remote station had to be evacuated for</p> <p>6 whatever reason, you said the boiler could be shut</p> <p>7 down automatically, but yet you said it's not in</p> <p>8 your procedures.</p> <p>9 MR. REYNOLDS: Well, as far as -- it</p> <p>10 can't be reset automatically. It's just if you have</p> <p>11 to evacuate the station, if you had to evacuate the</p> <p>12 remote station for some reason, we have a lot more</p> <p>13 to worry about than the boiler. They can pull the</p> <p>14 E-stop, and it shuts down the boiler. It can't be</p> <p>15 restarted from the remote station, and the boiler is</p> <p>16 down at that point.</p> <p>17 MR. HENRY: That makes perfect sense.</p> <p>18 I guess what bothers me, if I understood your</p> <p>19 answer -- or maybe I misunderstood it, it's not in</p> <p>20 your procedures right now.</p> <p>21 MR. REYNOLDS: It may not be written</p> <p>22 the way the question was asked. It's something that</p> <p>23 I can easily add to the procedure right at this</p> <p>24 point of the training as far as the training if we</p> <p>25 have to evacuate the station.</p>
<p style="text-align: right;">Page 35</p> <p>1 connections, so forth?</p> <p>2 MR. FRADY: Yes.</p> <p>3 MR. TOTH: Mr. Baughman, they actually</p> <p>4 have -- which is not in -- stated in here because</p> <p>5 it's not necessary for their boiler controls.</p> <p>6 But they do have the NEXUS system for</p> <p>7 integrated controls. That's for more of the</p> <p>8 in-depth operating controls, as you know, not</p> <p>9 necessarily for safety controls.</p> <p>10 MR. BAUGHMAN: On the reset, should we</p> <p>11 have a lockout of anything within the gatehouse</p> <p>12 itself, and is anything able to be reset off of a</p> <p>13 screen?</p> <p>14 MR. FRADY: (Nonverbal response.)</p> <p>15 MR. BAUGHMAN: It's all a hard reset?</p> <p>16 MR. FRADY: Yes. You basically have to</p> <p>17 be there.</p> <p>18 MR. BAUGHMAN: I'm sorry?</p> <p>19 MR. FRADY: Visually you have to --</p> <p>20 MR. BAILEY: Excuse me. When he asks</p> <p>21 you a question like that, we need a verbal response</p> <p>22 for the transcript. You were shaking your head no.</p> <p>23 MR. FRADY: Okay.</p> <p>24 MR. BAILEY: We actually need a no.</p> <p>25 CHAIRMAN MORELOCK: Any other</p>	<p style="text-align: right;">Page 37</p> <p>1 MR. TOTH: Mr. Henry, if I could add to</p> <p>2 that, again, as I alluded to, it has everything to</p> <p>3 do with timing.</p> <p>4 MR. HENRY: I understand if it's less</p> <p>5 than 20 minutes it's not applicable. But it could</p> <p>6 be more than 20 minutes.</p> <p>7 MR. TOTH: Well, and at that time,</p> <p>8 then -- if there is -- there are procedures in place</p> <p>9 for emergency procedures that Sofix does have in the</p> <p>10 case of an emergency that they -- that are outside</p> <p>11 of this variance that cover situations such as that.</p> <p>12 MR. HENRY: So there are procedures</p> <p>13 then?</p> <p>14 MR. TOTH: There are procedures outside</p> <p>15 of the boiler variance.</p> <p>16 MR. REYNOLDS: We have a very detailed</p> <p>17 emergency action plan which pretty much covers</p> <p>18 anything you can think of, fire, explosions, storms,</p> <p>19 anything that comes along of what to do.</p> <p>20 If we have to evacuate the facility,</p> <p>21 then everything is going to be shut down. Again,</p> <p>22 any of those issues, it's kind of looking for the</p> <p>23 unintended or the unthought of, we have looked at</p> <p>24 the risks and what we need to do.</p> <p>25 MR. BAUGHMAN: So -- and not to beat</p>

<p style="text-align: right;">Page 38</p> <p>1 the security guy up to any great extent. 2 But how long is the night shift in 3 particular? 4 MR. TOTH: The night shift runs from 5 9:00 p.m. to 7:30 a.m., and that has Sofix employees 6 qualified boiler attendants on site at that time. 7 So the security guard, i.e., the remote 8 attendant does not have to serve that role because 9 there are individuals on site that work for Sofix. 10 MR. BAUGHMAN: But not so much in the 11 gatehouse. 12 MR. TOTH: What about the gatehouse? 13 MR. BAUGHMAN: Well, the security -- 14 he's the guy that's -- 15 MR. TOTH: He's the remote attendant. 16 MR. BAUGHMAN: That's what I'm saying. 17 So regardless if others are on site, 18 they're not acting as remote attendants at that 19 time, so that doesn't -- 20 MR. TOTH: Well, as I mentioned, 21 Mr. Baughman, the gatehouse while the variance is in 22 effect is manned 24/7. 23 MR. BAUGHMAN: So he makes his rounds 24 every two hours. He leaves the guard shack, walks 25 inside and outside or within the buildings. He may</p>	<p style="text-align: right;">Page 40</p> <p>1 person is not present. 2 MR. BAUGHMAN: Okay. 3 MR. REYNOLDS: More to your point, if 4 he's taking extra time, if his rounds, for example, 5 would take 38 minutes, we would expect to see two 6 readings within a 40-minute time frame. So if he's 7 gone for 35, 38, 41 minutes, there's going to be two 8 readings taken. That's going to be part of the 9 training, part of the process, and part of what 10 we're going to... 11 MR. BAUGHMAN: Does he log when he 12 leaves the gatehouse and when he returns to the 13 gatehouse? 14 MR. REYNOLDS: That's what we're going 15 to have him do, yes. 16 MR. BAUGHMAN: So that's not being done 17 presently, but it's what he will do. 18 MR. REYNOLDS: Presently we have 19 readings being taken every 20 minutes, so there's a 20 record of that, what we're doing now. 21 What we're doing now is we're operating 22 under the 20-minute rule. We have somebody looking 23 at the boiler every 20 minutes, taking a reading. 24 When the variance is in effect, we have 25 our 24-hour log, which is changed from the log that</p>
<p style="text-align: right;">Page 39</p> <p>1 or may not take a smoke. 2 MR. REYNOLDS: If he takes a smoke on 3 the property -- we have no smoking on the property. 4 MR. BAUGHMAN: No smoking on the 5 property. But he has to relieve himself or take 6 care of his personal business, which then gets past 7 the 20 minutes. 8 What I'm getting at is anytime that 9 attendant is gone for more than 20 minutes of how 10 that's attended to within the -- 11 MR. REYNOLDS: How what's attended to, 12 Mr. Baughman? 13 MR. BAUGHMAN: Well, how the procedure 14 is attended to during this period of time that the 15 boiler is not being looked at under the variance; in 16 other words, the guard station is now vacant, he's 17 making his rounds, he has to take a little extra 18 time for other business -- 19 MR. TOTH: If I can add -- interject, 20 the remote attendant -- the rounds that the remote 21 attendant makes are between the hours of 5:30 and 22 9:00 p.m. 23 MR. PAOLUCCI: Or on the weekends. 24 MR. TOTH: Or on the weekends. 25 MR. PAOLUCCI: Basically when a Sofix</p>	<p style="text-align: right;">Page 41</p> <p>1 we're currently using to account for that. Yes, we 2 will instruct him, If you leave the guardhouse, you 3 need to sign out and sign back in when you return. 4 MR. BAUGHMAN: What I would like is to 5 have a check and balance so that when the boiler 6 variance inspection is done he can look at the time 7 of leaving the guard shack, return to the guard 8 shack, comparing it to his readings in the boiler 9 room to make sure that everything matches up. 10 MR. REYNOLDS: I don't know if it helps 11 for this or not. We have a camera set up aiming 12 towards where -- if somebody is present, there's a 13 camera. During the off shifts, somebody walks in, 14 that's how we're ensuring they're doing their 15 20-minute rounds currently. 16 But that's also going to be a time 17 check. If I needed to audit the system and I see 18 something for 11:50 on Friday night, I can go back 19 to the security footage from that and see if he 20 wasn't in there at 11:50 on Friday night. 21 MR. BAUGHMAN: Will that be available 22 to the boiler variance inspector? 23 MR. REYNOLDS: We currently have those 24 video feeds stored on the cloud for seven days. 25 That's part of what we've got now.</p>

<p style="text-align: right;">Page 42</p> <p>1 MR. BAUGHMAN: You see what I'm getting 2 at, there just needs to be a check and balance of, 3 This is what I'm saying, but they need to verify 4 that's actually what's happening. 5 MR. REYNOLDS: I can have an example of 6 that type of audit and download the video feeds time 7 stamped, and I can have that available, here is an 8 example of what that process is. 9 MR. TOTH: Again, as Mr. Reynolds 10 alluded to, the guardhouse -- the gatehouse will 11 have a log present for showing when they have left 12 the gatehouse. 13 MR. BAUGHMAN: That log will be timed 14 or just a check? 15 MR. TOTH: Hopefully it will be timed. 16 Will it be timed? That's not part of the boiler 17 variance, so, therefore, I'm not privy to that. 18 MR. REYNOLDS: Well, whatever works for 19 us to satisfy the boiler inspector and our procedure 20 as far as we have to put the exact time on there, 21 that's what we'll do. 22 MR. BAUGHMAN: You know, I think since 23 we're talking about times -- now I may be off in 24 left field -- but a check mark doesn't exactly give 25 us enough accountability for the liability.</p>	<p style="text-align: right;">Page 44</p> <p>1 other one? 2 CHAIRMAN MORELOCK: Sure. Go ahead. 3 MR. TOTH: This is simply the advances 4 of technology. You've got to love it, love Word. 5 As you'll notice in Section 3, there 6 was obviously an inadvertent enter stroke that 7 renumbered from remote attendant, as you can see, 8 and then it jumps down to 2. Therefore, it probably 9 did not match up -- well, not probably, it 10 definitely did not match up with the checklist. I 11 will take full and absolute responsibility for that. 12 Hopefully it became pretty clear as you 13 reviewed that that 1 was actually 2, 2 is actually 3 14 and -- off the checklist. So I do apologize for 15 that. That will be corrected. 16 CHAIRMAN MORELOCK: No problem. 17 In Appendix G, the job descriptions are 18 fine. One of the things that -- for the variance, 19 we want to clearly see that their various duties 20 related to the boiler are so noted, and they are. 21 You've got a really good statement. In 22 some of these, it says, Qualified as a Sofix LLC 23 boiler attendant in case of emergency shutdown or 24 manpower shortage solutions. I don't know that 25 that's consistently used.</p>
<p style="text-align: right;">Page 43</p> <p>1 MR. REYNOLDS: Right. 2 MR. BAUGHMAN: And since we're looking 3 at making sure this is done within the time frame 4 that's required by what our variance identifies that 5 we need to have that check and balance, even though 6 logging the time isn't exactly what's part of our 7 variance, we need to have that accountability for 8 the inspector. 9 MR. REYNOLDS: We also have what's 10 called -- they have what's called a pipe click. 11 There's certain stations around the facility where 12 they have the little wand, and they activate it. 13 That's something we could work into a procedure, 14 when you leave the guardhouse, do your pipe click. 15 When you return, do your pipe click. Then we'll 16 have an electronic record of the comings and goings 17 of the station house there. 18 CHAIRMAN MORELOCK: Other questions? I 19 just have a couple editorial while we're talking 20 about shifts. 21 On Page 43 under your glossary of terms 22 for definition of shift, you have there are three 23 and then a parenthetical -- 24 MR. TOTH: Yes, that's one. 25 Would you like for me to point out the</p>	<p style="text-align: right;">Page 45</p> <p>1 MR. TOTH: And it's not, Mr. Chairman. 2 That was purposefully done. 3 CHAIRMAN MORELOCK: Intentional? 4 MR. TOTH: Intentional. 5 CHAIRMAN MORELOCK: So the other part 6 would be -- I think in some of the job descriptions 7 you also have another good statement that says, 8 Additional responsibilities as listed on the 9 training record, i.e. -- or, e.g., boiler attendant, 10 boiler guard. You might want to make sure those are 11 consistent in Appendix G. 12 Are there any other questions, 13 comments? Hearing none, do I have a motion for this 14 item? 15 MR. HENRY: So moved. 16 CHAIRMAN MORELOCK: So the motion would 17 be, contingent approval of the boiler variance based 18 upon a successful site visit by the chief inspector, 19 deputy inspector from the state of Tennessee. So 20 that's what we're voting on. 21 So I have a motion. 22 Do I have a second? 23 MR. BAUGHMAN: Well, I would also make 24 the corrections to our placard inasmuch as we've 25 talked about changing the procedure, that procedure</p>

<p style="text-align: right;">Page 46</p> <p>1 of if they have to leave is not -- and your placard. 2 Even though you've got other 3 procedures, being that we are making this part of 4 the remote variance procedure, there was nothing in 5 there as far as leaving for more than that 20-minute 6 of disabling the boiler. 7 CHAIRMAN MORELOCK: But that wouldn't 8 be part of the placard for the variance; that would 9 be part of the 20-minute rule, correct? 10 MR. TOTH: Yes. 11 CHAIRMAN MORELOCK: Does that make 12 sense? We're approving a variance to the 20-minute 13 rule. 14 MR. BAUGHMAN: Well, that 20-minute 15 rule describes the emergency procedures placard. 16 CHAIRMAN MORELOCK: For the boiler 17 attendant rule. 18 But when they step out of that guard 19 shack, they're not under the variance anymore. 20 We're back to the 20-minute rule. 21 MR. TOTH: Back to it. 22 MR. BAUGHMAN: Okay. 23 CHAIRMAN MORELOCK: So it needs to be 24 in your procedures for the training or whatever. 25 MR. BAUGHMAN: Yes.</p>	<p style="text-align: right;">Page 48</p> <p>1 MR. BAUGHMAN: Second. 2 CHAIRMAN MORELOCK: I have a second. 3 Any more discussion? 4 All right. Hearing none, I'm going to 5 call the question, all in favor say aye. 6 In Unison: Aye. 7 CHAIRMAN MORELOCK: Opposed? 8 Abstentions? 9 MR. FOX: One. 10 CHAIRMAN MORELOCK: One abstention 11 noted, not voting. 12 Gentlemen, you have a contingently 13 approved variance based on a successful site 14 inspection and updating your manual per the comments 15 from the Tennessee board. 16 MR. TOTH: Thank you very much. 17 MR. REYNOLDS: Thank you. 18 CHAIRMAN MORELOCK: That completes 19 Item 18-06. That concludes our old business. 20 Moving on to Item 8, which is new 21 business, our item is 18-08, East Tennessee State 22 University is requesting a variance for four vessels 23 to operate under the requirements of 24 0800-03-03.08(11), which is the 20-minute rule. 25 Gentlemen, if you will come forward,</p>
<p style="text-align: right;">Page 47</p> <p>1 CHAIRMAN MORELOCK: But it doesn't 2 apply to this particular variance. 3 Does that make sense? 4 MR. BAUGHMAN: It does. 5 MR. TOTH: I will assure you, I will be 6 working diligently with Sofix in creating their 7 on-site boiler attendant and the remote attendant 8 training. That will be brought up. We will bring 9 in that procedure that's outside of the variance. 10 We'll bring that into the training for the remote 11 attendant and also for the boiler attendant, because 12 that individual will serve both those roles in that 13 situation. 14 MR. BAILEY: Mr. Chairman, does the 15 motion also -- it's contingent upon follow-up 16 inspection but also changes to the manual that were 17 pointed out? 18 CHAIRMAN MORELOCK: Yes, that's 19 correct, Mr. Bailey. 20 And it is contingent on also making 21 changes to the manual based on the comments from the 22 Tennessee board meeting. 23 So thank you for that addition. So 24 that is the motion. 25 Do I have a second for this motion?</p>	<p style="text-align: right;">Page 49</p> <p>1 introduce yourself, and present your request for 2 variance. 3 MR. HUDGINS: I'm Ernest Hudgins with 4 Engineering Services Group. Beside me is 5 Dan O'Brien, who is the director with the facilities 6 at East Tennessee State University. Todd Elrod is 7 the manager. 8 I'd just like to thank Mr. Chapman and 9 the board for entertaining this request for a 10 variance. 11 East Tennessee State University, ETSU, 12 is a large university located in Johnson City, 13 Tennessee. It's part of the Tennessee Board of 14 Regents. Currently they operate four high pressure 15 boilers ranging in size from 500 horsepower to 16 1500 horsepower. 17 Starting back in the '90s, 1999, they 18 made a push to convert from coal to natural gas. 19 That conversion was completed last year with the 20 addition of a 1500-horsepower fire-tube boiler and a 21 500-horsepower fire-tube boiler. 22 All four boilers are microprocessor 23 based. One has Coen controls on it. One is Fireye. 24 The other two are Honeywell as stated in the list. 25 The boilers provide the space heating,</p>

<p style="text-align: right;">Page 50</p> <p>1 hot water to the campus. They operate 24/7, roughly 2 365 days a year. There's probably a 1-week period 3 where the boiler plant is taken down for 4 maintenance.</p> <p>5 All the relief valves on the boilers as 6 part of the last edition were replaced and set to 7 130. So there's 130 psi. So all the boilers have 8 the same relief valve settings.</p> <p>9 All the boilers have been inspected and 10 approved by the state local boiler inspector, and 11 they've received operating permits from 12 Tennessee Environmental.</p> <p>13 As I said, the controls are 14 microprocessor based. They are password protected, 15 so no unauthorized changes can be made.</p> <p>16 The remote boiler station -- or the 17 monitoring station is located about 1300 feet from 18 the boiler house. It is staffed 24/7. The 19 personnel in the remote station have been certified 20 by the state fire marshal's office for fire and 21 safety. So these people are highly trained 22 individuals to monitor critical life safety, fire, 23 security.</p> <p>24 The boiler house, like I said, is about 25 1300 feet away. If you'll notice that Todd's</p>	<p style="text-align: right;">Page 52</p> <p>1 It is a dynamic, self-checking system. It is also 2 password protected.</p> <p>3 It also allows the operators, managers 4 to -- since it's web based, to look at the boilers 5 from a remote location themselves. But as far as 6 making any changes to operating parameters, it's -- 7 it's -- they're not allowed to do that.</p> <p>8 The boiler attendants are all boiler 9 operators. The service -- years of service range 10 from 5 years to 35 years. So these people have 11 experience operating the plant.</p> <p>12 The aerator tanks are pressurized 13 vessels. I apologize for not getting the nameplate 14 data in the manual for those, but we'll add it.</p> <p>15 The plant is divided into east and west 16 section, for lack of better terms, where the 17 800-horsepower boiler and the fire/water-tube boiler 18 are one DA type. The new 1500-horsepower and the 19 500-horsepower fire tubes are all on new DA and a 20 new search type. The search type feeds both sets of 21 deaerators.</p> <p>22 Typically, you have one boiler on 23 standby on the old system, one boiler on the new 24 system is what we're working for.</p> <p>25 As far as training, Todd will be</p>
<p style="text-align: right;">Page 51</p> <p>1 physical address and the boiler building are the 2 same. So someone is in the boiler house all the 3 time. Right now they function under the 20-minute 4 rule.</p> <p>5 The purpose for this variance is not to 6 reduce manpower or costs. It's basically to improve 7 service to the students and faculty on campus.</p> <p>8 Currently, if there is an issue and a maintenance 9 person is not available, you know, the clients 10 basically have to wait until someone can take care 11 of the problem; where with the variance, the boiler 12 operator could go take care of small problems.</p> <p>13 The location of the boiler house and 14 the layout in the boiler house is shown on Escape 1. 15 The layout of the panel is on Escape 3. It's set up 16 one row of lights for each boiler. It's kind of a 17 one-stop button for each boiler.</p> <p>18 Typical operation for the boiler plant 19 is one boiler in operation, one boiler standby. The 20 two smaller boilers, the 500- and 800-horsepower, 21 are used during summer and light load to basically 22 match the system.</p> <p>23 The communication link between the 24 boiler room and the remote monitoring station will 25 be the Johnson Controls energy management system.</p>	<p style="text-align: right;">Page 53</p> <p>1 responsible for the training and is responsible for 2 enforcement to make sure that the training has been 3 done. The people at the remote station will receive 4 four hours, two-hour refresher each year. I can't 5 remember off the top of my head -- it's in the 6 manual -- for what the boiler operators get.</p> <p>7 ETSU is in the process of developing a 8 training program. Todd and Dan can address that 9 better than I can. If you'd like them to address it 10 now, they can.</p> <p>11 CHAIRMAN MORELOCK: Yeah.</p> <p>12 MR. O'BRIEN: So we're working with the 13 site-specific vendor to develop our training. We 14 also have an online training system as well. Our 15 central station is basically our dispatch for our 16 fleets.</p> <p>17 So these are trained individuals with 18 two dispatchers at all times, 24/7. These folks are 19 trained in emergencies, mass notifications, fire, 20 medical. We have our own public safety officers as 21 well. They're all considered state police officers. 22 So certified dispatchers.</p> <p>23 We are approved through the state fire 24 marshal's office as a central station because we are 25 handling all the fire alarms. It's the central</p>

<p style="text-align: right;">Page 54</p> <p>1 station for all the fire alarm monitoring for over 2 80 facilities.</p> <p>3 MR. HUDGINS: In Appendix C, there's a 4 list of faults that will generate annunciation at 5 the remote station. We understand that a lot of 6 those faults are minor. But to be able to do the 7 remote annunciation, we have to live with the Newson 8 strips, and the university is willing to accept 9 those Newson strips.</p> <p>10 MR. O'BRIEN: And you would have the 11 check -- you would have the faults that would be 12 created at the start of the shift with a new boiler 13 operator, boiler attendant, with public safety, with 14 radio communication. And we also have backup 15 communication. We have land lines, and, of course, 16 they have personal cell phones as well.</p> <p>17 That will be checked. And, of course, 18 at any time, if they needed to leave, then there 19 would be communications that they're leaving and, of 20 course, when they return to our central station.</p> <p>21 CHAIRMAN MORELOCK: Well -- and I'll 22 interrupt you for just a minute too. Just so you 23 know, when the state comes in for their site visit, 24 they'll look at your Appendix B fault code list. 25 And any of those are free game for them to say, I</p>	<p style="text-align: right;">Page 56</p> <p>1 to discuss this item?</p> <p>2 MR. FOX: I'll make the motion.</p> <p>3 CHAIRMAN MORELOCK: Second?</p> <p>4 MR. BAUGHMAN: Second.</p> <p>5 CHAIRMAN MORELOCK: I'm opening the 6 floor for any questions or comments.</p> <p>7 MR. BAUGHMAN: Conflict?</p> <p>8 CHAIRMAN MORELOCK: And is there any 9 board conflicts for this item?</p> <p>10 Go ahead.</p> <p>11 DR. HARGROVE: Question, if you don't 12 mind, when there is an increase in the steam load -- 13 I think you mentioned that may occur during the 14 summer.</p> <p>15 MR. HUDGINS: Decreased steam load 16 during the summer.</p> <p>17 DR. HARGROVE: Yeah.</p> <p>18 MR. HUDGINS: They'll have 500 -- right 19 now they're running the 500-horsepower boiler to 20 take care of the low load during the summer.</p> <p>21 DR. HARGROVE: So my question is, if 22 there is an increase, how does that change your 23 personnel requirements or shift requirements for 24 your staff?</p> <p>25 MR. HUDGINS: None.</p>
<p style="text-align: right;">Page 55</p> <p>1 want you to initiate that fault code, okay.</p> <p>2 So if it's a real one, by all means, we 3 want it out there.</p> <p>4 Continue.</p> <p>5 MR. HUDGINS: Currently, they're -- the 6 boiler house is all on 12-hour shifts. At the start 7 of the shift, as Dan mentioned, the boiler operator 8 would come in, generate a fault, wait for 9 confirmation from the central station that they have 10 received the fault.</p> <p>11 If for some reason they don't, they 12 realize that the variance is not in effect, so they 13 have to operate under the 20-minute rule until the 14 communications are restored.</p> <p>15 This variance is a little different 16 from some in that the security guards, janitorial 17 services are not monitoring the boilers. They are 18 monitored by boiler mechanics. So when it comes to 19 restarting the boiler, the people in the boiler 20 house are qualified to restart it.</p> <p>21 So the boiler attendant in this manual 22 can restart it. There's not a first-tier, 23 second-tier type boiler attendant. They're all 24 qualified operators.</p> <p>25 CHAIRMAN MORELOCK: Do I have a motion</p>	<p style="text-align: right;">Page 57</p> <p>1 DR. HARGROVE: None at all even with 2 the addition of the smaller boilers?</p> <p>3 MR. ELROD: Correct.</p> <p>4 MR. O'BRIEN: It's currently manned 5 24/7. There will be no staff reduction or anything 6 of that nature. It really just gives us the ability 7 to respond to an overflowing commode or -- I mean, 8 it's -- it will help us with property damage and 9 then also help us with customer service for our 10 students, faculty, and staff.</p> <p>11 I mean, we still have staff on second 12 and third shift, but, you know, they're generally at 13 the housing facilities. So anything that happens in 14 any of our administrative buildings, they could 15 respond and kind of minimize damages if you will.</p> <p>16 There will be other folks that will 17 actually come in at that point to clean up or 18 mitigate any issue.</p> <p>19 DR. HARGROVE: Is that mechanic also 20 available? I saw there's a boiler mechanic. Is 21 that individual also available?</p> <p>22 MR. O'BRIEN: So we currently have -- 23 yes, they're on call.</p> <p>24 DR. HARGROVE: On call.</p> <p>25 MR. O'BRIEN: If it's not an operator,</p>

<p style="text-align: right;">Page 58</p> <p>1 they have a call list, which also includes Todd all 2 the way up to me. So, yes, there's a process -- 3 that's how we handle things right now, we have call 4 lists.</p> <p>5 Our central station actually has all of 6 our emergency numbers. We maintain call lists. 7 They know who to call in the event of an emergency, 8 any sort of issues with facilities.</p> <p>9 DR. HARGROVE: Okay.</p> <p>10 CHAIRMAN MORELOCK: Any other 11 questions?</p> <p>12 MR. FOX: Yeah. Under your Appendix A, 13 which has all your boilers listed, I'm looking at 14 Boiler No. 1 in Cleaver-Brooks, the national board 15 number has been left off.</p> <p>16 MR. HUDGINS: That is correct. 17 We've -- a couple weeks ago, they located the 18 national board number on the boiler. Mr. Chapman 19 provided us with the national board number. We 20 thought we were going to have to obtain a duplicate, 21 but the number was found on the boiler.</p> <p>22 MR. FOX: Oh, okay.</p> <p>23 MR. HUDGINS: I'll get -- that will be 24 one of the corrections that we make.</p> <p>25 MR. FOX: That needs to be in there.</p>	<p style="text-align: right;">Page 60</p> <p>1 MR. FOX: You're on a total Fireye 2 system with the exception of the Coen system.</p> <p>3 MR. HUDGINS: That's correct. That's a 4 mistake on my part, and I apologize.</p> <p>5 MR. FOX: Also under Appendix A, again, 6 we have the Cleaver Boiler No. 1, that's a dual fuel 7 boiler.</p> <p>8 MR. HUDGINS: They're all dual fuel 9 boilers.</p> <p>10 MR. FOX: That's not carried out 11 throughout --</p> <p>12 MR. HUDGINS: I'll carry that out.</p> <p>13 MR. FOX: -- the appendix.</p> <p>14 MR. BAUGHMAN: I'll follow up with that 15 same a little bit.</p> <p>16 Under Boiler No. 1, it shows a maximum 17 input of 33,600. It shows a maximum output of 18 75,000. I'd love to be selling those boilers.</p> <p>19 MR. HUDGINS: Me and you. I'd like to 20 be specifying them.</p> <p>21 We wouldn't be here today, would we?</p> <p>22 MR. BAUGHMAN: No, sir.</p> <p>23 MR. HUDGINS: I don't have to -- I 24 can't answer that, what the actual is off the top of 25 my head, but --</p>
<p style="text-align: right;">Page 59</p> <p>1 Also, when we get down to the bottom 2 where it says Remarks, and you've got the 3 Fireye E110, you've got the Coen burn control 4 system, the two superiors you have listed with the 5 Fireye PPC6000s, where does the Honeywell that 6 you're using come into play?</p> <p>7 MR. HUDGINS: I think that is a mistake 8 on my part. They are the PC600 [sic]. For some 9 reason, I thought they were Honeywell, but they are 10 Fireye.</p> <p>11 MR. FOX: Where is the Honeywell that 12 you have --</p> <p>13 MR. HUDGINS: That's a mistake on my 14 part --</p> <p>15 MR. FOX: -- listed in here?</p> <p>16 MR. HUDGINS: You're talking about on 17 the --</p> <p>18 MR. FOX: I want to know which boiler 19 operates with Honeywell controls. That's what I 20 want to know.</p> <p>21 MR. HUDGINS: There's not. The 7800 is 22 the Honeywell.</p> <p>23 MR. FOX: Yes.</p> <p>24 MR. HUDGINS: That should be stricken 25 out. The Fireye is the PPC --</p>	<p style="text-align: right;">Page 61</p> <p>1 MR. BAUGHMAN: To extend a bit on 2 Mr. Fox's conversation about the bottom on the 3 controls, so we've got a Fireye on Boiler No. 1, 4 Boiler No. 3, and Boiler No. 4. We have no 5 Honeywell.</p> <p>6 MR. HUDGINS: We have no Honeywell. 7 I'll take that out of the --</p> <p>8 MR. BAUGHMAN: But on Boiler No. 2, we 9 have Coen with a CompuNOx Benz control system.</p> <p>10 MR. HUDGINS: That is per --</p> <p>11 MR. BAUGHMAN: There's no equipment 12 description, annunciation, anything in the manual 13 referring to that control or system or annunciation.</p> <p>14 MR. HUDGINS: Correct -- no. John 15 Frick, Bob Coen, and some of the information was 16 not -- I was not able to obtain the faults and the 17 information for the Coen burner as I was able to for 18 the boilers.</p> <p>19 I'll make another attempt to see if I 20 can get that information for that system.</p> <p>21 MR. BAUGHMAN: Well, according to our 22 variance, it's required.</p> <p>23 MR. HUDGINS: Okay.</p> <p>24 MR. BAUGHMAN: It has to be in here in 25 order for us to be able to confidently analyze and</p>

<p style="text-align: right;">Page 62</p> <p>1 vote. And there's no information at all to be able 2 to look at.</p> <p>3 So Boiler No. 1, Boiler No. 3, and 4 Boiler No. 4 has got some information according to 5 the Fireye faults. And the Fireye faults are for 6 the E110, which is on Boiler No. 1. The Fireye 7 PPC6000 is not in here either.</p> <p>8 MR. HUDGINS: I was told that the 6000 9 and the 110 faults are the same.</p> <p>10 MR. BAUGHMAN: That's -- and I 11 appreciate that. We just don't have that.</p> <p>12 MR. HUDGINS: It needs to be 13 documented?</p> <p>14 MR. BAUGHMAN: Yes, because it is two 15 separate control systems.</p> <p>16 MR. HUDGINS: Okay.</p> <p>17 MR. BAUGHMAN: So the only control 18 system we have in here is actually just the fault 19 codes. We don't have any other description of the 20 programmer other than the fault codes.</p> <p>21 MR. HUDGINS: Okay.</p> <p>22 MR. BAUGHMAN: That in itself doesn't 23 allow us to give a good analyzation.</p> <p>24 So the other is -- back to the 25 communications accessibility, you mentioned that</p>	<p style="text-align: right;">Page 64</p> <p>1 it. We might further that information down the road 2 externally just to talk about cyber security.</p> <p>3 MR. ELROD: So the control interface is 4 just an interface. It's a read only; it's not a 5 write. From my house, I can't change any set 6 points. No one can change any set points remotely.</p> <p>7 MR. BAUGHMAN: Nor can you set 8 remotely.</p> <p>9 MR. ELROD: Right. You have to be 10 standing at the panel, put in the proper password 11 for you to change a setting.</p> <p>12 MR. BAUGHMAN: So when the person calls 13 in to the guard station for their fault check to 14 verify that the boiler is faulting out, do they use 15 the same fault every time?</p> <p>16 MR. O'BRIEN: So we don't have that 17 piece yet. We're developing that piece. But like 18 was mentioned, we could use any of the faults if 19 that -- I mean, I made a note that we need to make 20 sure that they can create any of the faults. So if 21 we need to put it in the procedures that you do more 22 than one fault, you -- you have to change that up, 23 however the case may be.</p> <p>24 I mean, it's also a monitored system. 25 We also know when it's offline as well as part of</p>
<p style="text-align: right;">Page 63</p> <p>1 they're not allowed -- they have access to remotely 2 look at what's going on with the boiler, with the 3 programmer, and they're not allowed to make any 4 changes.</p> <p>5 MR. ELROD: Correct.</p> <p>6 MR. BAUGHMAN: Not allowed and not 7 capable are two different things.</p> <p>8 MR. ELROD: Password protected and only 9 the service technicians have the password.</p> <p>10 MR. BAUGHMAN: So no possibility at all 11 that these things could ever be hacked?</p> <p>12 MR. ELROD: No -- well --</p> <p>13 MR. BAUGHMAN: Okay.</p> <p>14 MR. O'BRIEN: We do at the university 15 have a whole IT security department that works on 16 firewall issues. This is all part of that system on 17 the service side at ETSU.</p> <p>18 MR. BAUGHMAN: Super.</p> <p>19 MR. O'BRIEN: I hear what you're 20 saying. You can't ever say never with that. But 21 that is -- the whole cyber security is actually -- 22 they've really stepped it up at ETSU. It's a big 23 deal not just for us.</p> <p>24 MR. BAUGHMAN: Some other universities 25 that I'm aware of are very involved with that end of</p>	<p style="text-align: right;">Page 65</p> <p>1 our -- it's called Metasys is what we use through 2 Johnson Controls.</p> <p>3 MR. BAUGHMAN: What I was looking at, I 4 was just kind of getting in my mind of the person 5 coming in and checking the boiler. One of the best 6 faults, of course, is low water, to test the boiler 7 on -- doing a positive check of the low-water 8 cutoff.</p> <p>9 What I was looking at was just for 10 information purposes more than anything, the thought 11 process of changing up those faults, because it 12 gives that much more accountability to the safety of 13 the -- the devices themselves.</p> <p>14 CHAIRMAN MORELOCK: Well, that's 15 information. It's not a requirement. You do have 16 to check it, but we're not going to tell you how to 17 check it. That was just to clarify that.</p> <p>18 What other questions?</p> <p>19 MR. HENRY: I have one.</p> <p>20 CHAIRMAN MORELOCK: Go ahead.</p> <p>21 MR. HENRY: It's a clarification. Turn 22 to Page 6 on your -- the handout you prepared. 23 Referring to the emergency duties.</p> <p>24 In Item 1, 2, and 4, the language used 25 is mandatory. Item 3 is you "should" instead of</p>

<p style="text-align: right;">Page 66</p> <p>1 "shall" in that case.</p> <p>2 Explain that. Is there a reason for</p> <p>3 that, or is that just a typo?</p> <p>4 MR. O'BRIEN: It's a typo.</p> <p>5 MR. HENRY: Okay.</p> <p>6 CHAIRMAN MORELOCK: I just have a</p> <p>7 couple comments as far as the Appendix A boiler data</p> <p>8 sheet. You have some revisions to do.</p> <p>9 MR. HUDGINS: That's correct.</p> <p>10 CHAIRMAN MORELOCK: On Boiler No. 1,</p> <p>11 the serial number is not correct if you compare it</p> <p>12 to the picture of the nameplate you provided,</p> <p>13 which -- nice touch by the way, nice to see those</p> <p>14 nameplates. Make sure you get your boiler sheet</p> <p>15 updated correctly.</p> <p>16 MR. HUDGINS: Okay.</p> <p>17 CHAIRMAN MORELOCK: Appendix G, your</p> <p>18 job descriptions are fine.</p> <p>19 I just want to say that anytime you</p> <p>20 have a specific name listed in this manual as</p> <p>21 opposed to a job title, that is your choice and</p> <p>22 discretion to do that. But just know as your</p> <p>23 personnel changes that would require a revision to</p> <p>24 your manual, so just food for thought on that.</p> <p>25 In Appendix G, the only job description</p>	<p style="text-align: right;">Page 68</p> <p>1 MR. BAUGHMAN: Yes. Under job</p> <p>2 description, Appendix G, at the bottom, the boiler</p> <p>3 mechanic, is that under employment of ETSU?</p> <p>4 MR. HUDGINS: Yes.</p> <p>5 MR. BAUGHMAN: And they have the</p> <p>6 qualifications? You have the required R-stamps?</p> <p>7 MR. ELROD: No.</p> <p>8 MR. BAUGHMAN: Well, under the job</p> <p>9 description, it says, Boiler mechanic replaces</p> <p>10 damaged boiler tubes and plates, repairs or replaces</p> <p>11 high pressure piping.</p> <p>12 But the part that kind of raises the</p> <p>13 red flag to myself is they replace damaged boiler</p> <p>14 tubes and plates, which under the state of Tennessee</p> <p>15 requires an R-stamp.</p> <p>16 MR. ELROD: We don't have that. We</p> <p>17 don't do that. We do it by outside contractor.</p> <p>18 MR. BAUGHMAN: Then the job description</p> <p>19 will need to be revised.</p> <p>20 MR. O'BRIEN: Basically eliminate the</p> <p>21 plates and the -- okay.</p> <p>22 MR. BAUGHMAN: Again, under where it</p> <p>23 says, Inspects and repairs boiler fittings such as</p> <p>24 safety valves, they would not meet the requirement</p> <p>25 of repairing a safety valve.</p>
<p style="text-align: right;">Page 67</p> <p>1 I could not find was for the public safety</p> <p>2 department. You've got them for the other jobs, but</p> <p>3 you don't have your remote monitor job requirements</p> <p>4 listed.</p> <p>5 Then this has nothing to do with your</p> <p>6 variance. But as far as making boiler repairs, is</p> <p>7 that being done per NBIC? Is it R-stamp repairs</p> <p>8 or --</p> <p>9 MR. HUDGINS: Yes.</p> <p>10 CHAIRMAN MORELOCK: That's all the</p> <p>11 questions I had.</p> <p>12 MR. BOWERS: Just a note on your</p> <p>13 proposal, you mentioned the wrong paragraph on your</p> <p>14 fire boiler variance.</p> <p>15 CHAIRMAN MORELOCK: Yeah.</p> <p>16 MR. BOWERS: Did you mention that?</p> <p>17 CHAIRMAN MORELOCK: No, but you're</p> <p>18 right. What you saw was an older revision of the</p> <p>19 rules. It used to be the old 20-minute rule; now</p> <p>20 it's the new -- the Rule 22 is now Rule 11. So</p> <p>21 you'll have to change it to 0800-03-03.08(11).</p> <p>22 MR. HUDGINS: 08(11)?</p> <p>23 CHAIRMAN MORELOCK: Yeah. We revised</p> <p>24 the rules in 2016, so...</p> <p>25 Any other questions or comments?</p>	<p style="text-align: right;">Page 69</p> <p>1 CHAIRMAN MORELOCK: Any other questions</p> <p>2 or comments?</p> <p>3 Hearing none, do I have a motion for</p> <p>4 this item?</p> <p>5 MR. BAUGHMAN: I'd just like to bring</p> <p>6 up before we make the motion that I feel like we</p> <p>7 don't have all the information in here that's needed</p> <p>8 presently under the equipment description</p> <p>9 requirement to be able to make a vote.</p> <p>10 CHAIRMAN MORELOCK: Okay.</p> <p>11 MR. BAUGHMAN: It's required that we</p> <p>12 have an equipment description; it's listed in our</p> <p>13 itemization. And for myself, speaking for myself,</p> <p>14 that it's lacking that part of the requirement.</p> <p>15 So if there wants to be any more</p> <p>16 discussion on that --</p> <p>17 MR. FOX: It's lacking not only on the</p> <p>18 information we have on the boilers itself but on the</p> <p>19 control systems.</p> <p>20 CHAIRMAN MORELOCK: Okay.</p> <p>21 MR. FOX: I need to see something on</p> <p>22 that Coen system. You need to eliminate the</p> <p>23 Honeywell that you have in there since it's all</p> <p>24 Fireye. And I need to see something on the Fireye</p> <p>25 system itself.</p>

<p style="text-align: right;">Page 70</p> <p>1 Even though you're telling me that the 2 E -- what is it, the E100 is equivalent to the 6000, 3 I need to see something on that. 4 MR. HUDGINS: So break them out into 5 separate -- 6 MR. FOX: Yeah, that's what I need. 7 CHAIRMAN MORELOCK: So if ETSU provides 8 the board with a revised manual that reviews 9 clean -- cleaner, we can see putting it before the 10 board once we have a complete manual, correct? 11 MR. BAUGHMAN: Correct. 12 CHAIRMAN MORELOCK: Gentlemen, are you 13 okay with that, to go back and revise this manual 14 based on the comments you've received today and add 15 the missing information and bring it back in 16 December? 17 MR. HUDGINS: I guess my only concern 18 is the information for the Coen burner. 19 MR. BAUGHMAN: Inasmuch as being able 20 to obtain the information? 21 MR. HUDGINS: Yes. 22 MR. BAUGHMAN: That's a good point. If 23 it's not able to be obtained, we don't have anything 24 to be able to look at; nor would an inspector have 25 anything to look at. So they wouldn't be able to</p>	<p style="text-align: right;">Page 72</p> <p>1 old Coen burner and then resubmit that to 2 Mr. Chapman as part of the -- 3 CHAIRMAN MORELOCK: Well, would this 4 create ETSU a problem to wait and vote on this in 5 December, give you time to get the manual cleaned 6 up? Is that acceptable? 7 MR. O'BRIEN: I believe so, yes. 8 CHAIRMAN MORELOCK: If that's 9 acceptable, then we will capture these comments, 10 we'll table the item until December, you'll have 11 opportunity to send a revised manual to the state, 12 and they'll get it to us 45 days in advance of the 13 December meeting, and then we can meet again in 14 December and hopefully have a review that will get 15 you a site visit and approved variance, if that's 16 acceptable to you gentlemen. 17 MR. HUDGINS: Okay. 18 MR. BAILEY: Mr. Chairman, I think you 19 might need to do that with a motion on the table. 20 CHAIRMAN MORELOCK: Do I have a motion 21 to that effect? 22 MR. BAUGHMAN: So moved. 23 DR. HARGROVE: Second. 24 CHAIRMAN MORELOCK: Any other 25 discussion?</p>
<p style="text-align: right;">Page 71</p> <p>1 perform their duties competently. So one way or 2 another, that information has got to be obtained in 3 my perception of it. 4 CHAIRMAN MORELOCK: So the issue that 5 we're trying to balance here is, is there enough 6 information missing that it would not pass a vote 7 for a contingent approval today, let them get the 8 information to the state that's missing, send it to 9 the board members, and handle it that way; or do 10 they need to come back in December with a revised 11 manual? 12 That's where we're at. 13 MR. BAUGHMAN: Because if it 14 announces out and they don't have a fault code, 15 even within your own personnel, there's no reference 16 for that Coen system. So it's got to be obtained 17 along with just the other Fireye, which is current 18 manufacturer. 19 MR. HUDGINS: Yeah, it is current 20 manufacturer. 21 Would that be okay, as the chairman 22 suggested, that -- that I provide a better section 23 for the -- the boiler controls, break it out into 24 two parts for the Fireye systems, and then go back 25 and see if I can't find that old information for the</p>	<p style="text-align: right;">Page 73</p> <p>1 All in favor of tabling this item until 2 the December meeting say aye. 3 In Unison: Aye. 4 CHAIRMAN MORELOCK: Opposed? 5 Abstentions, not voting? We'll table this item 6 until December. 7 With that item, that takes us to -- 8 there is no discussion items. There's no board 9 cases or interpretations. 10 MS. JEFFERSON: I have one 11 acknowledgment. 12 Do y'all want to do that now? 13 CHAIRMAN MORELOCK: Here is what I want 14 to do. Y'all have been patient for 2 hours. Let's 15 take a 15-minute break. Let me look at my phone 16 this time. Let's reconvene at 10:45, and then we'll 17 finish our agenda. 18 (Recess observed.) 19 CHAIRMAN MORELOCK: We have some 20 acknowledgments. 21 MS. JEFFERSON: The person that I 22 wanted to acknowledge doesn't appear to be in the 23 room. However, I'd like to acknowledge Sam, Chris, 24 as well as Deborah Rhone for the job that they've 25 done with the training conference. In addition to</p>

<p style="text-align: right;">Page 74</p> <p>1 the regular duties that we have to continue, they 2 were able to spend a large amount of time actually 3 doing everything that they needed to do in order to 4 make this a phenomenal event.</p> <p>5 So I'm very appreciative. I wish 6 Deborah was here so we could acknowledge her. When 7 y'all see her, just let her know that she is 8 acknowledged. I guess all of her efforts are 9 totally appreciated. We really appreciate 10 everything she's done to coordinate this along with 11 her staff.</p> <p>12 DR. HARGROVE: Hear, hear.</p> <p>13 CHAIRMAN MORELOCK: Are there any other 14 acknowledgments or announcements from the boiler 15 unit?</p> <p>16 MR. CHAPMAN: Just some of my new 17 inspectors, which is Chris O'Guin, Michael Ryan -- 18 excuse me, he's up in Ohio. Michael Gafford, could 19 you hold your hand up?</p> <p>20 In Unison: He's outside.</p> <p>21 MR. CHAPMAN: Justin Simpson and 22 Mark Neumann.</p> <p>23 That's the new commission.</p> <p>24 CHAIRMAN MORELOCK: Congratulations. 25 That's a pretty good test. I've taken it myself.</p>	<p style="text-align: right;">Page 76</p> <p>1 for 23 years.</p> <p>2 DR. HARGROVE: Well, good morning. 3 Keith Hargrove. I actually serve as dean of the 4 college of engineering at Tennessee State 5 University. I'm a former employee of 6 General Electric. Shop floor guy, manufacturing 7 engineer for a number of years and decided to do 8 this academia thing and share that knowledge.</p> <p>9 I'm glad to be on this outstanding 10 board and provide a perspective with regard to some 11 IT issues and also maybe some technical issues as 12 well.</p> <p>13 CHAIRMAN MORELOCK: My name is 14 Brian Morelock. I've been with Eastman Chemical 15 Company, it will be 30 years in December. I'm very 16 thankful for Eastman for what they've allowed me to 17 do and serve. I'm a mechanical engineer.</p> <p>18 I -- what I bring to this table is I'm 19 the member who represents unfired pressure vessels 20 in the state of Tennessee. So 24 years of my 21 33 years of experience has been with pressure 22 equipment. I serve on ASME code committees as well 23 as National Board Inspection Code. I'm a 24 professional engineer. I'm a commission inspector 25 with the national board and hold a special inspector</p>
<p style="text-align: right;">Page 75</p> <p>1 MR. BAUGHMAN: Do you know what area 2 they'll be covering?</p> <p>3 MR. CHAPMAN: Chris O'Guin is 4 Middle Tennessee. Justin Simpson and Mark Neumann 5 is East Tennessee. And Mike Gafford is West 6 Tennessee. We're still trying to get one more, 7 though. Then we'll be fully staffed.</p> <p>8 CHAIRMAN MORELOCK: I want to 9 acknowledge the fact we have all of our board 10 members here today, and thankful for their selfless 11 service and dedication to public safety with our 12 areas of expertise.</p> <p>13 With that said, it's been 11 years 14 since we've done this, but I just wanted to take a 15 few minutes at the end of this meeting to let our -- 16 most of -- most of our board members are new. I'm 17 the only old one. I'd like you to take just a 18 minute or two and talk about your area of expertise 19 and how you -- where you serve and work and what you 20 bring to the board. It's nothing real formal, but 21 just go ahead, Harold.</p> <p>22 MR. BOWERS: My name is Harold Bowers. 23 I've been with the factory, FM Global, for 18 years 24 as an inspector. Before that, I was a plant 25 engineer at Pasmenco Zinc in Clarksville, Tennessee,</p>	<p style="text-align: right;">Page 77</p> <p>1 commission in the state of Tennessee.</p> <p>2 I just am very thankful for the 3 opportunity to meet and work with y'all and really 4 enjoy what I do.</p> <p>5 MR. BAUGHMAN: Well, I'm Dave Baughman 6 out of --</p> <p>7 THE WITNESS: Follow that.</p> <p>8 MR. BAUGHMAN: Yeah, gee.</p> <p>9 CHAIRMAN MORELOCK: Yeah, right.</p> <p>10 MR. BAUGHMAN: I'm Dave Baughman out of 11 Murfreesboro, Tennessee. I've served on the board 12 now a handful of years. I don't exactly remember 13 when I came on, but I'm thankful to be a part of 14 this.</p> <p>15 I came on with my dad in the boiler 16 business in 1977, so I've been in the boiler 17 industry now just over 40 years. That was 18 September 15 of '77 is when I started with Dad, who 19 came out of World War II, B-24 bomber veteran, very 20 disciplined, in the box, no-nonsense kind of guy. I 21 was about 180 degrees off center from that. I'd say 22 he fired me 100 times. He hired me 101. He was 23 definitely a man that let you make your own 24 mistakes.</p> <p>25 I took the business over in 1984 when</p>

<p style="text-align: right;">Page 78</p> <p>1 he passed away. And one of the things that he had 2 talked to me about was not so much being another 3 welder, plumber, pipe fitter, electrician, but he 4 said, If you'll study combustion and controls, 5 you'll always be able to keep a roof over your head. 6 It doesn't matter if you work for me or for someone 7 else, you study for combustion and controls, and 8 you'll always be able to feed your family. 9 And I did. And he explained it to me 10 in ways that I could understand. He said, There's 11 no real franchises in our boiler industry. We're 12 all mom-and-pop shops. He said at some point in 13 time -- and these guys came in out of World War II. 14 Most of them were BTs out of the Navy. They came 15 out of the war, started up their boiler companies. 16 They were going to do one or two things relatively 17 soon. They were going to retire, or they were going 18 to die. There was no new influx of new people 19 coming into the industry because the Navy was 20 getting out of having BTs, grouping that all under a 21 different grouping of machinist mates. 22 And it came to be that's just where 23 we're at. This expertise gap is just getting wider 24 and wider. So now you find yourself being involved 25 with that expertise of lending it to a boiler rules</p>	<p style="text-align: right;">Page 80</p> <p>1 But I really focused on control 2 systems. That's what I spent most of my time with 3 was on controls. I actually worked with Cleaver 4 some, Cleaver-Brooks some on some -- building some 5 of their controls. 6 Combustion and controls are my thing. 7 I've been in -- by the time I was ten years old and 8 could ride around with my dad, I had been in every 9 boiler room that would let me in in the state of 10 Tennessee because he did boiler service. 11 So I rode with him, and that got me 12 interested and everything. But I go in so many 13 boiler rooms today and different things, and I see 14 safety issues; I see control issues; I see things 15 that need to be addressed. Safety is my main thing. 16 I'm glad I'm here. Over times I've 17 done stuff in the field, start-ups and stuff, you 18 know, what we call a self-cleaning stack incident, 19 which is actually a little fire explosion. We've 20 done that and experienced that. I had Dave with me 21 on one of those. 22 Anyway, the safety factor is what I'm 23 here for. Anything I can bring to the board, that's 24 what I want to do. 25 MR. BAUGHMAN: I'll expand on that just</p>
<p style="text-align: right;">Page 79</p> <p>1 board, different safety committees, subcommittees 2 within different industries, the chicken industry, 3 the brewery distillery industry. 4 It's amazing to see where things are 5 going to go, because in the next 10 to 15 years, a 6 lot of this expertise is going to be retiring out. 7 And looking at that lack of expertise coming back in 8 means that it's important for us to be able to share 9 this information with the industry. 10 That's a little background on myself. 11 And thankful to be with Allied Boiler. We're just a 12 mom-and-pop shop, but we're so blessed. So, yeah, a 13 little bit about myself. 14 MR. FOX: Are you through? 15 MR. BAUGHMAN: I'm done. 16 MR. FOX: My name is Terry Fox. I grew 17 up in the boiler business. I've been dealing with 18 boilers for -- just like Dave, for 40 years now. 19 Dave and I were competitors at times. He worked for 20 one company, and I worked for another. 21 Like I said, I grew up in this 22 business. I've done everything from mixing mud in a 23 wheelbarrow to pour boiler grates and stuff for coal 24 burners to retubes to putting in tube sheet, half 25 tube sheets, just anything and everything.</p>	<p style="text-align: right;">Page 81</p> <p>1 a little bit. Back when Terry and I were first 2 getting to know each other, I always -- we just 3 didn't like salespeople. Being boiler service guys, 4 we were boiler men. And sometimes the customer will 5 call multiple companies to come out on a service 6 call. We would argue on who was going to be at the 7 job, because if somebody pulled in first and you 8 pulled in behind them, they were the ones going, and 9 Terry and I would argue because we were both wanting 10 to get out of there. 11 We developed a relationship pretty 12 quickly of knowing where each other stood at in the 13 industry. 14 MR. HENRY: My name is Jeff Henry. I 15 think I'm going to trump y'all from the boiler 16 experience at least from the family standpoint. I 17 started with combustion back in the mid 1970s, so I 18 have a fair amount of experience myself. 19 But my wife's grandfather worked for 20 Combustion Engineering. At a point, he was one of 21 the welders who did the first welded pressure 22 vessel, which is an ASME landmark down in 23 Chattanooga. That was back in 1934. When GE shut 24 down the facility down in Chattanooga, the old 25 Combustion Engineering facility, that's, what, a</p>

<p style="text-align: right;">Page 82</p> <p>1 year ago now, through my wife's family and through 2 us, we had more than 100 years' experience in the 3 boiler business over that time.</p> <p>4 My background is a metallurgical 5 engineer and welding engineer. Work very closely 6 both with and for Dr. Canonico for a number of years 7 at Combustion. Have been involved in the ASME Board 8 of Pressure Vessel Code. I was chairman of 9 Section 2 for 12 years. I'm a member of Section 1. 10 I've served on the Board of Pressure Vessel 11 Technology.</p> <p>12 I'm pleased to be here and honored to 13 be a part of this group. I think as all of the 14 members have indicated, whatever we can do to 15 improve the safety of this equipment is sort of 16 thing I'd like to be involved in.</p> <p>17 CHAIRMAN MORELOCK: Jeff, I have a 18 question, where is that first welded vessel today?</p> <p>19 MR. HENRY: It is to many disgust 20 that's up in Windsor, Connecticut. It's a shame. 21 We've talked to the mayor of Chattanooga about 22 talking to GE. Talked to the corporate about 23 getting it back because it belonged to Chattanooga.</p> <p>24 CHAIRMAN MORELOCK: It's very 25 significant.</p>	<p style="text-align: right;">Page 84</p> <p>1 When I travel outside of the state as the former 2 chief inspector or in my current capacity of talking 3 to individuals, this board is respected above all.</p> <p>4 Continue with the great work, and I'm 5 very proud to be a part of this state and to work 6 with all you gentlemen. Thank you.</p> <p>7 In Unison: Thank you.</p> <p>8 MR. ROBINSON: Can I say something?</p> <p>9 CHAIRMAN MORELOCK: Go ahead.</p> <p>10 MR. ROBINSON: I'm Eugene Robinson, 11 former assistant chief with the state of Tennessee. 12 Years ago I recall I started getting copies of the 13 bulletin, CIBC, national board book that was sent 14 out every quarter.</p> <p>15 I was inspired by the words of one of 16 the former directors, McDonald. He used to write 17 events that would occur, current events in the front 18 of this book. And he would close every sentence 19 with the word whew, W-H-E-W, whew, meaning he had 20 labored himself to point out things of safety that 21 was pertinent to the industry.</p> <p>22 I learned to respect those writings 23 from all the detailed statistics that he had shown 24 us. And over the years -- I can even recall when 25 Don Tanner, whom I almost fell out of my chair when</p>
<p style="text-align: right;">Page 83</p> <p>1 MS. JEFFERSON: I'd just like to thank 2 all of you because y'all bring a vast amount of 3 experience, number of years as well as diversity to 4 the board. That, in turn, helps the department, it 5 helps the division, as well as the unit. We 6 couldn't do what we do without y'all. We don't take 7 it lightly by any means. We appreciate what y'all 8 do for us.</p> <p>9 We also appreciate the fact that you 10 volunteer your services. You volunteer your 11 efforts, your time, your resources and everything 12 else.</p> <p>13 I just want you to know that you are 14 truly appreciated, so thank you.</p> <p>15 In Unison: Thank you.</p> <p>16 MR. TOTH: Can I say something?</p> <p>17 CHAIRMAN MORELOCK: Go ahead.</p> <p>18 MR. TOTH: I just want to say from the 19 audience side of the table, I've been involved with 20 the state of Tennessee boiler inspection division in 21 and out for 25 years. When I came on, there was a 22 number of distinguished individuals on this board.</p> <p>23 And I look today, and I see the same 24 type of individuals on this board. You have a 25 plethora of knowledge. And it is so important.</p>	<p style="text-align: right;">Page 85</p> <p>1 he approached us over at another company I used to 2 work for in East Tennessee, and he walked in -- and 3 God be my witness -- he had all of this gold jewelry 4 on, and it scared me to death. And if you knew 5 Don Tanner, he could be that intimidating. He would 6 throw things. He would yell at you. He practically 7 would bite you.</p> <p>8 My mentor and I tried to -- we were 9 doing some things that -- we were a high tech 10 manufacturing operation, subsidiary of 11 Cleaver-Brooks. And they were building things that 12 were disallowed by ASME or subjective, not proven, 13 ambiguous. And what we attempted to do was to 14 rewrite the ASME code to adopt our spirit of 15 manufacturing.</p> <p>16 I know I'm rambling. Forgive me.</p> <p>17 Mr. Tanner came in, and at that 18 particular time, he chewed up five cigars in front 19 of me. It scared the daylights out of me because we 20 had made the chief of Tennessee upset. The chief of 21 Tennessee is an important person in this business. 22 The buck stops right there with the chief of 23 Tennessee in this business.</p> <p>24 I was happy -- I am happy to be 25 privileged to have been a part of such a</p>

<p style="text-align: right;">Page 86</p> <p>1 distinguished group. Even Marty. Marty came in my 2 shop. Marty, I'm going to let this one out, and I'm 3 going to sit down after this.</p> <p>4 Marty came in my shop after I invited 5 him and some of his constituents, commissioners, 6 dignitaries, he came in my shop and bit me.</p> <p>7 Do you remember that, Marty?</p> <p>8 MR. TOTH: Yeah, I remember that.</p> <p>9 MR. ROBINSON: Marty was the acting 10 chief, came into my shop, bit me and made me 11 approach the board and defend why we were doing some 12 high tech manufacturing techniques, right, Marty?</p> <p>13 MR. TOTH: Amen.</p> <p>14 MR. ROBINSON: I'm so happy. You guys 15 have got so much experience. I really -- I enjoy 16 you guys. Keep us safe. Thank you.</p> <p>17 CHAIRMAN MORELOCK: We're down to 18 Item 10, which is our next Tennessee Board of Boiler 19 Rules meeting will be held at 9:00 a.m. on 20 Wednesday, December 12, right here at the Tennessee 21 Department of Labor.</p> <p>22 Before I adjourn, which is Item 11, I 23 strongly encourage y'all to take this conference 24 time to talk to people that you don't know, meet 25 people that you haven't seen maybe in two years or</p>	<p style="text-align: right;">Page 88</p> <p>1 Eastman. Randall was getting me set up to go in. 2 And he cleverly winched up the tripod loose so the 3 cable wasn't pulled tight, so when I went through 4 that man way, I had a little bit of free fall before 5 I took the slack out of that.</p> <p>6 All I could hear was laughing. What am 7 I going to do, right?</p> <p>8 But all jokes aside, I couldn't -- I 9 couldn't work for nicer folks. So please come and 10 hear their presentation. Their presentation is 11 going to cover some things about the significance of 12 this relationship, and they'll talk more about that 13 as well. Please come on back and enjoy this 14 afternoon.</p> <p>15 With that, I --</p> <p>16 MR. BAUGHMAN: One second.</p> <p>17 CHAIRMAN MORELOCK: Go ahead.</p> <p>18 MR. BAUGHMAN: I want to say, for one, 19 this is a team effort. We all work as a team 20 together. This is a great team to work with. The 21 number of relationships that have been built beyond 22 working on boilers is fantastic, because we know 23 this is what we do for a living, but it's not what's 24 most important in our lives.</p> <p>25 To be able to expand upon those</p>
<p style="text-align: right;">Page 87</p> <p>1 longer. We're so very thankful that the state of 2 Tennessee has allowed us to continue this fall 3 conference and the importance of it.</p> <p>4 Please make yourself available for the 5 presentations that are coming and you've already sat 6 through for the knowledge transfer.</p> <p>7 Dave was talking about the next 8 generation.</p> <p>9 Correy Menzel, stand up, Correy. 10 There's the next generation right there.</p> <p>11 MR. BAUGHMAN: All right. Yeah.</p> <p>12 CHAIRMAN MORELOCK: Correy came onboard 13 back in June, so we're excited to have him on 14 materials, vessels, and piping team.</p> <p>15 So not to steal the thunder, but please 16 come back for the presentations this afternoon. As 17 you can tell, we have a lot of folks from Eastman 18 here. This is my work family. A lot of them are 19 still back home too in the vessel team. I can't say 20 enough about them.</p> <p>21 They've been through a lot of things 22 with me other than just work. I can't -- I can't 23 express how much I appreciate them.</p> <p>24 I will say that when I was young like 25 Correy, I went into a high pressure vessel at</p>	<p style="text-align: right;">Page 89</p> <p>1 relationships out in a boiler room is fantastic. I 2 really enjoy that with you guys. But knowing that 3 we work hand in hand and what nobody brings to the 4 table in this equation is an ego, that makes working 5 on all this stuff fantastic.</p> <p>6 And just so -- from my perspective and 7 us working directly with y'all in this industry is 8 that it's a great team. I appreciate you guys very 9 much.</p> <p>10 CHAIRMAN MORELOCK: All hearts and 11 minds cleared. All right. We're adjourned. Thank 12 y'all for coming.</p> <p>13 (Proceedings were adjourned at 14 11:30 a.m.)</p> <p>15 16 17 18 19 20 21 22 23 24 25</p>

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, Elisabeth A. Miller Lorenz, RMR,
CRR, Notary Public and Court Reporter, do hereby
certify that I recorded to the best of my skill and
ability by machine shorthand all the proceedings in
the foregoing transcript, and that said transcript
is a true, accurate, and complete transcript to the
best of my ability.

I further certify that I am not an
attorney or counsel of any of the parties, nor a
relative or employee of any attorney or counsel
connected with the action, nor financially
interested in the action.

SIGNED this 27th day of September,
2018.



Elisabeth A. Miller Lorenz, RMR, CRR

My Notary commission expires: 3/10/2019

Tennessee LCR No. 66

Expires: 6/30/2020

(1500-horsepower 49:20 52:18	2800 13:19	6
(5) 10:10	18 75:23	3	6 11:25 65:22
(a) 10:10	18-06 13:18 48:19	3 11:1 17:22 30:18,23 44:5,13 51:15 61:4 62:3 65:25	6000 62:8 70:2
0	18-08 48:21	30 76:15	68-122-105 10:9
08(11) 67:22	18-09 10:2	30-minute 28:13	69,715 11:20 12:19
0800-03-03.08(11) 13:22 48:24 67:21	180 77:21	300-horsepower 16:6	7
1	1934 81:23	33 76:21	7 13:17 24:13
1 29:25 30:23 44:13 51:14 58:14 60:6,16 61:3 62:3,6 65:24 66:10 82:9	1970s 81:17	33,600 60:17	75,000 60:18
1,215 11:21	1977 77:16	35 40:7 52:10	77 77:18
1,671 11:23	1984 77:25	365 50:2	7800 59:21
1,700 11:20	1991 16:5	38 13:6 40:5,7	7:30 24:15 38:5
1-week 50:2	1992 15:22	4	8
10 22:10 79:5 86:18	1999 49:17	4 11:2 61:4 62:4 65:24	8 11:2 48:20
100 77:22 82:2	2	4-hour 32:10	8,911 11:18
101 77:22	2 32:8,11 44:8,13 61:8 65:24 73:14 82:9	40 77:17 79:18	80 54:2
10:45 73:16	2,919 11:17	40-minute 40:6	800-horsepower 51:20 52:17
11 67:20 75:13 86:22	2-1/2 32:11	41 40:7	9
110 62:9	20 21:20 22:7 27:4,10, 11,12 31:20 37:5,6 39:7,9 40:19,23	43 43:21	9 13:3 24:14,19
115 16:8	20- 28:13	45 72:12	90 16:7
117 13:2	20-minute 21:24 24:2,5 31:21 40:22 41:15 46:5, 9,12,14,20 48:24 51:3 55:13 67:19	455 11:22	90s 49:17
11:30 89:14	2016 67:24	46 13:4,11	911 22:22
11:50 41:18,20	2018 11:2	5	9:00 31:2 38:5 39:22 86:19
12 22:10 82:9 86:20	22 67:20	5 11:12 13:5 52:10	A
12-hour 55:6	23 76:1	5,912 11:17	a.m. 38:5 86:19 89:14
130 50:7	24 31:21 76:20	500 49:15 56:18	abandonment 23:4,8, 9
1300 50:17,25	24-hour 32:20 40:25	500- 51:20	ability 57:6
15 77:18 79:5	24/7 16:14 24:9,10 38:22 50:1,18 53:18 57:5	500-horsepower 49:21 52:19 56:19	absolute 44:11
15-minute 73:15	25 83:21	54 13:11	absolutely 20:9 29:5
150 16:7	27 11:24	550 16:13	abstention 48:10
1500 49:16		5:30 24:13,18 31:2 39:21	

<p>Abstentions 10:24 48:8 73:5</p> <p>academia 76:8</p> <p>accept 10:17 54:8</p> <p>acceptable 72:6,9,16</p> <p>accepting 19:9 20:4</p> <p>access 25:17,23 26:11, 21 34:19 63:1</p> <p>accessibility 62:25</p> <p>accomplish 21:23</p> <p>accomplished 22:7 34:3,21</p> <p>account 41:1</p> <p>accountability 42:25 43:7 65:12</p> <p>acknowledge 19:15 29:11 73:22,23 74:6 75:9</p> <p>acknowledged 74:8</p> <p>acknowledgment 73:11</p> <p>acknowledgments 73:20 74:14</p> <p>act 28:1</p> <p>ACTEMMX 8:6</p> <p>acting 38:18 86:9</p> <p>action 37:17</p> <p>actions 19:10 20:1,4,9</p> <p>activate 23:19 43:12</p> <p>active 12:21 13:4,12</p> <p>actively 23:22</p> <p>actual 31:1 34:11 60:24</p> <p>add 11:9 17:3 18:2,14 20:6,11 21:16 23:22,23 26:1 29:4 30:21 31:6 36:23 37:1 39:19 52:14 70:14</p> <p>addition 47:23 49:20 57:2 73:25</p> <p>additional 17:10 18:3 20:17 32:21 45:8</p>	<p>additions 10:15</p> <p>address 51:1 53:8,9</p> <p>addressed 80:15</p> <p>adjourn 86:22</p> <p>adjourned 89:11,13</p> <p>Adkins 6:22</p> <p>administrative 57:14</p> <p>adopt 85:14</p> <p>adoption 9:25</p> <p>advance 72:12</p> <p>advances 44:3</p> <p>advocate 22:12</p> <p>aerator 52:12</p> <p>affect 30:17</p> <p>afternoon 87:16 88:14</p> <p>agenda 4:4 9:25 10:1, 5,13,15,17,25 73:17</p> <p>agent 11:17</p> <p>agree 27:25 28:2 33:18</p> <p>ahead 14:12 19:24 24:23 44:2 56:10 65:20 75:21 83:17 84:9 88:17</p> <p>aiming 41:11</p> <p>alarm 19:15,17 29:10, 11 54:1</p> <p>alarms 53:25</p> <p>Allan 6:14</p> <p>Allied 79:11</p> <p>allowances 24:6</p> <p>allowed 52:7 63:1,3,6 76:16 87:2</p> <p>allude 22:2 24:23</p> <p>alluded 31:8 37:2 42:10</p> <p>alluding 26:7</p> <p>amazing 79:4</p> <p>ambiguous 85:13</p> <p>Amen 86:13</p>	<p>American 13:9</p> <p>amount 74:2 81:18 83:2</p> <p>analyzation 62:23</p> <p>analyze 61:25</p> <p>Andrew 8:6</p> <p>Annotated 10:9</p> <p>announcement 9:20</p> <p>announcements 4:18, 21 14:1 74:14</p> <p>annual 18:17</p> <p>annunciates 71:14</p> <p>annunciation 54:4,7 61:12,13</p> <p>Anthony 5:19,23 17:7, 9</p> <p>anymore 46:19</p> <p>anytime 39:8 66:19</p> <p>apologize 44:14 52:13 60:4</p> <p>apologizing 11:4</p> <p>appendix 19:6 32:18 44:17 45:11 54:3,24 58:12 60:5,13 66:7,17, 25 68:2</p> <p>applicable 37:5</p> <p>apply 47:2</p> <p>appreciated 74:9 83:14</p> <p>appreciative 74:5</p> <p>approach 86:11</p> <p>approached 85:1</p> <p>approval 11:2,7,10 45:17 71:7</p> <p>approved 13:8 16:11 32:2 48:13 50:10 53:23 72:15</p> <p>approving 46:12</p> <p>approximately 16:13</p> <p>area 15:22 75:1,18</p>	<p>areas 21:22 33:13 75:12</p> <p>argue 81:6,9</p> <p>arise 23:12</p> <p>asks 35:20</p> <p>ASME 10:4 76:22 81:22 82:7 85:12,14</p> <p>assigned 18:9 19:14 32:8</p> <p>assistant 5:17 84:11</p> <p>assure 47:5</p> <p>attack 27:15</p> <p>attempt 61:19</p> <p>attempted 85:13</p> <p>attendance 29:18</p> <p>attendant 13:23 17:20, 21 18:8,21 19:15 20:15, 16,18,20,22 21:2,3,6 23:9 24:1,20 25:12,13 27:7,9 28:21 31:5 38:8, 15 39:9,20,21 44:7,23 45:9 46:17 47:7,11 54:13 55:21,23</p> <p>attendants 16:16 24:17 38:6,18 52:8</p> <p>attended 39:10,11,14</p> <p>attendees 9:21</p> <p>audience 14:6 83:19</p> <p>audit 13:8 41:17 42:6</p> <p>August 4:15 11:2,8,10</p> <p>automatically 36:7,10</p> <p>availability 33:23</p> <p>aware 63:25</p> <p>aye 10:23 48:5,6 73:2,3</p> <hr/> <p style="text-align: center;">B</p> <hr/> <p>B-24 77:19</p> <p>Babel 6:6</p> <p>back 7:11 8:21 22:20 26:2 30:10 33:21 41:3, 18 46:20,21 49:17</p>
---	---	---	---

62:24 70:13,15 71:10, 24 79:7 81:1,17,23 82:23 87:13,16,19 88:13	Bennett 8:16 9:5,11	23 80:9,10,13 81:3,4,15 82:3 83:20 86:18 89:1	burners 79:24	
background 15:20 79:10 82:4	Benz 61:9	boilers 49:15,22,25 50:5,7,9 51:20 52:4 55:17 57:2 58:13 60:9, 18 61:18 69:18 79:18 88:22	business 4:6,20 13:18 39:6,18 48:19,21 77:16, 25 79:17,22 82:3 85:21, 23	
backup 54:14	big 63:22	Boisco 5:22 15:17	button 51:17	
Bailey 5:18 8:21 14:16 15:3,5 35:20,24 47:14, 19 72:18	Bill 6:22	bomber 77:19	<hr/> C <hr/>	
Baker 8:18 9:5,11	bit 15:20 60:15 61:1 79:13 81:1 86:6,10 88:4	book 84:13,18	cable 88:3	
balance 41:5 42:2 43:5 71:5	bite 85:7	bothers 36:18	call 4:2 19:19,21 28:24 29:2,3 48:5 57:23,24 58:1,3,6,7 80:18 81:5,6	
Barnett 8:9	blessed 79:12	bottom 59:1 61:2 68:2	called 4:6 34:18 43:10 65:1	
based 25:18 45:17 47:21 48:13 49:23 50:14 52:4 70:14	board 4:3 5:1,6,8,11, 12,14,15 11:5,9 12:4 14:15,20 15:13,23 18:14 47:22 48:15 49:9, 13 56:9 58:14,18,19 70:8,10 71:9 73:8 75:9, 16,20 76:10,23,25 77:11 79:1 80:23 82:7, 10 83:4,22,24 84:3,13 86:11,18	Bowers 5:6 10:21 13:10 18:23 19:2 24:8, 21 25:3,5,7,11 29:24 30:14,22 67:12,16 75:22	calling 22:21 30:16	
basic 19:14	Bob 61:15	Bowman 8:3	calls 64:12	
basically 19:18 35:16 39:25 51:6,10,21 53:15 68:20	body 27:23	box 77:20	camera 41:11,13	
basis 18:17	boiler 4:3 6:23,24 7:1,3, 6,8,13,15,16,18,21,23, 24 8:2,4,7,16,18 9:1,3, 6,7 11:12 12:15 13:23 16:4,6,13,15 17:1 19:3, 20 20:7,16,17,19,22 21:2,4,6,8,9,17,18,24 22:6 23:10,13,16 24:16, 20 25:7,13,23 26:19 27:7,10,12,17 28:17,22 29:2,5,8,11,12,14,17, 18,22,23 30:1,2,6,10,16 31:4,18 32:6,19 33:25 34:7,11,17 35:5 36:6, 13,14,15 37:15 38:6 39:15 40:23 41:5,8,22 42:16,19 44:20,23 45:9, 10,17 46:6,16 47:7,11 49:20,21 50:3,10,16,18, 24 51:1,2,11,13,14,16, 17,18,19,24 52:8,17,22, 23 53:6 54:12,13 55:6, 7,18,19,21,23 56:19 57:20 58:14,18,21 59:18 60:6,7,16 61:3,4, 8 62:3,4,6 63:2 64:14 65:5,6 66:7,10,14 67:6, 14 68:2,9,10,13,23 71:23 74:14 77:15,16 78:11,15,25 79:11,17,	break 70:4 71:23 73:15	break 70:4 71:23 73:15	canonics 27:14 82:6
Baughman 4:14 5:12 12:19 16:21 21:10,21 22:11,17 23:1,17,24 31:16,25 32:5,13,17,22 33:3,10,14,20 34:2,14, 20,23 35:3,10,15,18 37:25 38:10,13,16,21, 23 39:4,12,13 40:2,11, 16 41:4,21 42:1,13,22 43:2 45:23 46:14,22,25 47:4 48:1 56:4,7 60:14, 22 61:1,8,11,21,24 62:10,14,17,22 63:6,10, 13,18,24 64:7,12 65:3 68:1,5,8,18,22 69:5,11 70:11,19,22 71:13 72:22 75:1 77:5,8,10 79:15 80:25 87:11 88:16,18	boilers 79:3	Brian 5:10 76:14	capable 63:7	
beat 37:25	boiling 9:22,23 51:1 80:4 85:11	bring 47:8,10 69:5 70:15 75:20 76:18 80:23 83:2	capacity 84:2	
beauties 9:7	buildings 33:2,9,11 38:25 57:14	brings 89:3	capture 14:8 72:9	
bees 9:9	built 10:3 88:21	brought 47:8	capturing 32:10	
Bell 9:4,11	bulletin 84:13	BTS 78:14,20	care 39:6 51:10,12 56:20	
belonged 82:23	burn 59:3	buck 85:22	Carlene 8:16 9:5	
	burner 61:17 70:18 72:1	Buckman 8:5	carried 60:10	
	Burnerlogix 16:10 26:5	building 9:22,23 51:1 80:4 85:11	carry 60:12	
		buildings 33:2,9,11 38:25 57:14	case 27:21 37:10 44:23 64:23 66:1	
		built 10:3 88:21	cases 73:9	
		bulletin 84:13	ceases 21:5	
		burn 59:3	cell 14:1 54:16	
		burner 61:17 70:18 72:1	center 77:21	
		Burnerlogix 16:10 26:5	central 53:15,24,25 54:20 55:9 58:5	
			certified 18:21 50:19 53:22	
			chair 84:25	

chairing 4:15	chicken 79:2	62:19,20	confidently 61:25
chairman 4:2 5:10 7:11 8:19 9:13 10:19,22 12:17,24 13:14 14:14, 16,17,23,25 15:10,12 16:18,22,24 17:2,5,12 20:11 26:24 27:5,13,21, 25 28:2,8,11,15,23 29:1,5 35:25 43:18 44:2,16 45:1,3,5,16 46:7,11,16,23 47:1,14, 18 48:2,7,10,18 53:11 54:21 55:25 56:3,5,8 58:10 65:14,20 66:6,10, 17 67:10,15,17,23 69:1, 10,20 70:7,12 71:4,21 72:3,8,18,20,24 73:4, 13,19 74:13,24 75:8 76:13 77:9 82:8,17,24 83:17 84:9 86:17 87:12 88:17 89:10	chief 5:4 6:14 10:6 11:12 12:16 45:18 84:2, 11 85:20,22 86:10	Coen 49:23 59:3 60:2 61:9,15,17 69:22 70:18 71:16 72:1	confirmation 55:9
Chandler 8:1	choice 66:21	college 76:4	conflict 14:20 15:3,7 56:7
change 10:1 32:1 33:17 56:22 64:5,6,11, 22 67:21	chosen 29:20	combustion 78:4,7 80:6 81:17,20,25 82:7	conflicts 14:19 56:9
changed 40:25	Chris 5:2 12:15 73:23 74:17 75:3	comfort 18:14	confusing 33:19
changing 45:25 65:11	chubby 22:9	comings 43:16	Congratulations 74:24
Chapman 5:4 10:6 11:13,15 12:18,19,21 49:8 58:18 72:2 74:16, 21 75:3	CIBC 84:13	comment 14:5	Connecticut 82:20
Chapter 13:22	cigars 85:18	comments 12:18 13:15 16:25 45:13 47:21 48:14 56:6 66:7 67:25 69:2 70:14 72:9	connections 35:1
Chattanooga 13:20 15:22 81:23,24 82:21, 23	circumstance 36:4	commission 12:6 74:23 76:24 77:1	Conner 8:6
check 21:24 28:4,12 31:17 41:5,17 42:2,14, 24 43:5 54:11 64:13 65:7,16,17	circumstances 29:13	commissioner 5:17	considered 53:21
checked 54:17	City 49:12	commissioners 86:5	consist 21:7
checking 28:14 31:20 32:5 65:5	clarification 33:15 65:21	committees 76:22 79:1	consistent 45:11
checklist 44:10,14	clarify 22:15 65:17	commode 57:7	consistently 44:25
checks 28:6 31:21	Clarksville 75:25	communication 29:16 34:24 51:23 54:14,15	constituents 86:5
Chemical 6:3,5,7,9,11, 13,15,17,19,21 76:14	class 29:18	communications 54:19 55:14 62:25	Consulting 5:21 15:17
chewed 85:18	clean 57:17 70:9	companies 78:15 81:5	contingent 45:17 47:15,20 71:7
	cleaned 72:5	company 14:7 17:25 18:7 26:19 30:25 76:15 79:20 85:1	contingently 48:12
	cleaner 70:9	compare 66:11	continual 18:16
	clear 44:12	comparing 41:8	continue 55:4 74:1 84:4 87:2
	cleared 89:11	competently 71:1	continuing 12:5
	Cleaver 60:6 80:3	competitors 79:19	continuously 27:6
	Cleaver-brooks 16:5 58:14 80:4 85:11	complete 70:10	contractor 18:25 68:17
	cleverly 88:2	completed 13:7 49:19	control 7:6,8 8:4 16:11 25:16,17 27:23 28:4 34:13 59:3 61:9,13 62:15,17 64:3 69:19 80:1,14
	click 43:10,14,15	completes 48:18	controller 33:24
	clients 51:9	Compunox 61:9	controls 26:4,5 35:5,7, 8,9 49:23 50:13 51:25 59:19 61:3 65:2 71:23 78:4,7 80:3,5,6
	clock 32:15	concern 70:17	conversation 10:5 31:7 61:2
	close 84:18	concludes 48:19	conversations 14:3
	closely 82:5	conference 12:10 73:25 86:23 87:3	conversion 49:19
	cloud 41:24		
	coal 49:18 79:23		
	code 10:4,9 11:24 54:24 55:1 71:14 76:22, 23 82:8 85:14		
	codes 26:22 34:17,19		

convert 49:18	damage 57:8	description 18:24 19:3 23:2 33:4 61:12 62:19 66:25 68:2,9,18 69:8,12	documentation 10:7
coordinate 74:10	damaged 68:10,13	descriptions 44:17 45:6 66:18	documented 62:13
copies 84:12	damages 57:15	desk 15:14	Don 84:25 85:5
corporate 82:22	Dan 5:18 8:10 49:5 53:8 55:7	detailed 37:16 84:23	Doris 8:9
Corporation 7:10	Danny 7:24	develop 53:13	download 42:6
correct 18:25 46:9 47:19 57:3 58:16 60:3 61:14 63:5 66:9,11 70:10,11	data 52:14 66:7	developed 81:11	dual 60:6,8
corrected 44:15	Dave 4:14 5:12 77:5,10 79:18,19 80:20 87:7	developing 53:7 64:17	dump 31:14
corrections 10:15 45:24 58:24	David 6:16	devices 65:13	duplicate 58:20
correctly 66:15	day 12:14 24:12 27:2,8 31:17,19,21,22	devil's 22:11	Durm 8:23
Correy 6:4 87:9,12,25	daylights 85:19	Dickerson 7:22	duties 19:10,13 32:24 44:19 65:23 71:1 74:1
costs 51:6	days 41:24 50:2 72:12	die 78:18	duty 27:3
counsel 5:18	deaerators 52:21	dignitaries 86:6	dynamic 52:1
couple 4:8 13:24 28:5 43:19 58:17 66:7	deal 63:23	diligently 47:6	<hr/> E <hr/>
court 4:24 11:3	dealing 79:17	direct 9:22	e-mail 11:3
cover 37:11 88:11	dean 76:3	directly 29:8 89:7	E-STOP 23:13,20 36:14
covering 75:2	death 85:4	director 49:5	e.g. 45:9
covers 37:17	Deborah 8:25 73:24 74:6	directors 84:16	E100 70:2
create 30:11,20 64:20 72:4	December 11:8,11 70:16 71:10 72:5,10,13, 14 73:2,6 76:15 86:20	disabling 46:6	E110 59:3 62:6
created 54:12	decided 76:7	disallowed 85:12	earlier 31:17 33:22 34:14 36:3
creating 47:6	Decreased 56:15	disaster 9:21	easily 36:23
critical 50:22	dedication 75:11	disciplined 77:20	east 8:11,12 48:21 49:6,11 52:15 75:5 85:2
cubic 10:11	defend 86:11	discretion 66:22	Eastman 6:3,5,7,9,11, 13,15,17,19,21 76:14, 16 87:17 88:1
current 71:17,19 84:2, 17	definition 43:22	discuss 9:18 16:19,21 56:1	ECS 5:21 15:17
customer 57:9 81:4	degrees 77:21	discussion 10:23 15:5, 6 48:3 69:16 72:25 73:8	Ed 6:12
cutoff 65:8	delays 30:20	disgust 82:19	edition 50:6
cyber 63:21 64:2	delinquent 11:19,21, 23	dispatch 53:15	editorial 43:19
<hr/> D <hr/>	Deon 9:4	dispatchers 53:18,22	education 12:6
DA 52:18,19	department 8:24 9:1 63:15 67:2 83:4 86:21	distillery 79:3	effect 38:22 40:24 55:12 72:21
dad 77:15,18 80:8	depends 30:5	distinguished 15:14 83:22 86:1	effort 88:19
Dallas 7:16	deputy 45:19	diversity 83:3	efforts 74:8 83:11
	describes 46:15	divided 52:15	ego 89:4
		division 83:5,20	

EHS 17:8	Ernest 49:3	externally 64:2	finish 73:17
Electric 76:6	Ernie 8:14	extra 31:22 39:17 40:4	fire 16:5 22:17,19,24 37:18 50:20,22 52:19 53:19,23,25 54:1 67:14 80:19
electrician 78:3	Escape 51:14,15	extremely 20:25	fire-tube 49:20,21
electronic 43:16	Estep 6:20	<hr/> F <hr/>	fire/water-tube 52:17
eliminate 68:20 69:22	ETSU 49:11 53:7 63:17, 22 68:3 70:7 72:4	facilities 49:5 54:2 57:13 58:8	fired 12:20 77:22
Elisabeth 4:23	Eugene 84:10	facility 21:21 22:13 31:10 37:20 43:11 81:24,25	firewall 63:16
Elrod 8:12 49:6 57:3 63:5,8,12 64:3,9 68:7, 16	evacuate 36:11,25 37:20	fact 31:20 75:9 83:9	Fireye 16:10 26:5 49:23 59:3,5,10,25 60:1 61:3 62:5,6 69:24 71:17,24
emergencies 53:19	evacuated 36:5	factor 80:22	first-tier 55:22
emergency 9:20 19:19 22:13,16,23 23:4,7,11, 19 29:9,16 37:9,10,17 44:23 46:15 58:6,7 65:23	event 9:20 58:7 74:4	factory 34:4 75:23	fitter 78:3
employee 24:16 76:5	events 84:17	faculty 51:7 57:10	fittings 68:23
employees 17:24 29:7, 22 31:1 38:5	exact 42:20	fair 81:18	flag 68:13
employment 27:24 68:3	exam 12:4	fall 87:2 88:4	fleets 53:16
encourage 86:23	exception 60:2	falls 18:4	floor 16:25 56:6 76:6
end 12:6 17:23 33:22 63:25 75:15	excited 87:13	family 78:8 81:16 82:1 87:18	FM 75:23
ends 24:13,14	exciting 12:13	fantastic 88:22 89:1,5	focused 80:1
energy 51:25	excuse 11:20 35:20 74:18	fault 54:24 55:1,8,10 62:18,20 64:13,15,22 71:14	folks 53:18 57:16 87:17 88:9
enforcement 53:2	exempt 10:8,12	faulting 64:14	follow 4:5 19:17 60:14 77:7
engineer 75:25 76:7, 17,24 82:5	exist 21:5	faults 54:4,6,11 61:16 62:5,9 64:18,20 65:6,11	follow-up 13:4 36:2 47:15
engineering 8:15 49:4 76:4 81:20,25	exit 9:22	favor 10:23 48:5 73:1	food 66:24
enjoy 77:4 86:15 88:13 89:2	expand 80:25 88:25	feed 78:8	Foods 7:10
ensuring 41:14	expect 40:5	feeds 41:24 42:6 52:20	footage 41:19
enter 26:16 44:6	experience 52:11 76:21 81:16,18 82:2 83:3 86:15	feel 20:25 69:6	Forgive 85:16
entertaining 49:9	experienced 80:20	feeling 30:15	formal 75:20
environmental 16:1 50:12	expertise 75:12,18 78:23,25 79:6,7	feet 10:11 16:13 50:17, 25	forward 9:17 48:25
equation 89:4	Explain 66:2	fell 84:25	found 11:25 58:21
equipment 61:11 69:8, 12 76:22 82:15	explained 78:9	field 6:23 42:24 80:17	Fox 4:10 5:14 10:18 12:23 14:22,24 15:2,4,9 17:14,18,24 18:12 34:8 48:9 56:2 58:12,22,25 59:11,15,18,23 60:1,5, 10,13 69:17,21 70:6 79:14,16
equivalent 70:2	explosion 80:19	fight 22:24	Fox's 36:3 61:2
	explosions 37:18	find 19:5 67:1 71:25 78:24	
	express 87:23	fine 4:16 44:18 66:18	
	extend 61:1		
	extent 38:1		
	extenuating 29:13		

Frady 5:23 17:9 26:2, 12,13 29:8 34:1,4,10, 16,22 35:2,14,16,19,23
frame 24:4 40:6 43:3
franchises 78:11
free 54:25 88:4
Frick 61:15
Friday 41:18,20
front 15:14 31:24 84:17 85:18
fuel 60:6,8
full 44:11
fully 75:7
function 51:3

G

Gafford 7:14 74:18 75:5
game 54:25
gap 78:23
gas 49:18
gate 22:23 25:21 31:24
gatehouse 16:12 21:4, 9,11,13,14,15 22:14,20, 22 23:3 24:4 25:12 32:23 35:11 38:11,12, 21 40:12,13 42:10,12
GE 81:23 82:22
gee 77:8
General 76:6
generally 57:12
generate 54:4 55:8
generation 87:8,10
gentlemen 14:12 48:12,25 70:12 72:16 84:6
give 12:15 13:1 42:24 62:23 72:5
giving 11:17,22
glad 4:9 76:9 80:16

Global 75:23
glossary 20:21 43:21
God 28:1 85:3
goings 43:16
gold 85:3
good 14:14 17:12 20:23 33:16,17,20 44:21 45:7 62:23 70:22 74:25 76:2

grandfather 81:19
grassy 33:13
grates 79:23
great 9:16 15:24 16:3 38:1 84:4 88:20 89:8

grew 79:16,21
group 5:22 8:15 9:16 15:15,17 49:4 82:13 86:1

grouping 78:20,21
guard 18:19 20:16,17 23:2,25 24:3,9,19,22 25:3,4,21 26:25 27:14 28:17 29:2,23 31:23 32:8 38:7,24 39:16 41:7 45:10 46:18 64:13

guard's 22:3
guardhouse 41:2 42:10 43:14
guards 16:17 17:16 18:10 19:7 25:1 26:21 28:4,13 29:5,8 55:16

guess 25:15 36:18 70:17 74:8
guy 38:1,14 76:6 77:20
guys 78:13 81:3 86:14, 16 89:2,8

H

hacked 63:11
half 12:14 79:24
hand 4:12 74:19 89:3
handful 77:12

handle 30:3 58:3 71:9
handling 53:25
handout 65:22
happen 9:10 28:20
happening 42:4

happy 9:11 85:24 86:14
hard 35:15
Hargrove 5:8 16:23 25:14 26:2,8,10,23 33:21 56:11,17,21 57:1, 19,24 58:9 72:23 74:12 76:2,3

Harkinson 7:5
Harold 5:6 75:21,22
Hartford 6:23 7:6,8 8:2, 4

head 35:22 53:5 60:25 78:5

heading 22:20
health 16:2 27:16

hear 14:9,10,11 63:19 74:12 88:6,10

Hearing 10:16 45:13 48:4 69:3

heart 27:15
hearts 89:10

heating 49:25
held 86:19

helps 41:10 83:4,5

Henry 5:15 19:8,25 20:1,6,10 29:19 36:2,17 37:1,4,12 45:15 65:19, 21 66:5 81:14 82:19

high 49:14 68:11 85:9 86:12 87:25

highly 50:21
Hillman 6:18

hired 77:22
hold 74:19 76:25

Holt 6:24

home 34:6,25 87:19
honest 27:20

Honestly 18:3
Honeywell 49:24 59:5, 9,11,19,22 61:5,6 69:23

honor 27:13
honored 82:12
horsepower 49:15,16

hot 50:1
hour 30:3,15
hours 28:5 31:21 32:8, 11 38:24 39:21 53:4 73:14

house 23:25 24:3 34:9 43:17 50:18,24 51:2,13, 14 55:6,20 64:5

housing 57:13
Hudgins 8:14 49:3

54:3 55:5 56:15,18,25 58:16,23 59:7,13,16,21, 24 60:3,8,12,19,23 61:6,10,14,23 62:8,12, 16,21 66:9,16 67:9,22 68:4 70:4,17,21 71:19 72:17

I

i.e. 38:7 45:9
identifies 43:4

identify 23:18
II 77:19 78:13

importance 87:3
important 79:8 83:25 85:21 88:24

impressed 31:9
improve 51:6 82:15
in-depth 35:8

inadvertent 44:6
incident 80:18

includes 12:20 58:1
inconvenience 30:12

increase 56:12,22	insured 11:22	Jefferson 5:16 73:10, 21 83:1	labored 84:20
individual 21:5,19 24:20 31:12 47:12 57:21	integral 20:2	Jeremiah 6:8	lack 52:16 79:7
individuals 18:16,19 20:19,23 21:1 26:11 27:24 29:7 38:9 50:22 53:17 83:22,24 84:3	integrated 35:7	Jesse 8:7	lacking 69:14,17
industries 79:2	Intentional 45:3,4	jewelry 85:3	land 54:15
industry 77:17 78:11, 19 79:2,3,9 81:13 84:21 89:7	interest 14:19,21	job 4:16 16:3 18:24 19:3,21 23:2 32:24 33:4 44:17 45:6 66:18,21,25 67:3 68:1,8,18 73:24 81:7	landmark 81:22
influx 78:18	interested 80:12	jobs 67:2	language 65:24
information 15:21 18:3 19:6 61:15,17,20 62:1,4 64:1 65:10,15 69:7,18 70:15,18,20 71:2,6,8,25 79:9	interface 64:3,4	John 61:14	large 49:12 74:2
initial 18:16	interject 39:19	Johnson 49:12 51:25 65:2	Lashley 7:7
initiate 55:1	international 16:2	joined 9:5	laughing 88:6
input 60:17	Internet 34:25	jokes 88:8	laundry 20:23
inside 21:22 32:25 33:5,7,8,10 38:25	interpretation 33:18, 19	jumps 44:8	law 24:7
inspected 50:9	interpretations 73:9	June 4:16 87:13	layout 51:14,15
inspection 13:4 41:6 47:16 48:14 76:23 83:20	interrupt 54:22	Justin 7:20 74:21 75:4	Leanne 8:23
inspections 11:16,18, 21	intervention 22:21		learned 84:22
inspector 5:3,5 6:15, 25 7:2,4,6,8,13,15,17, 19,21,23,25 8:4,8 10:6 11:17 41:22 42:19 43:8 45:18,19 50:10 70:24 75:24 76:24,25 84:2	intimidating 85:5	K	leave 4:13 21:13 23:12, 15,19,25 24:1,3 41:2 43:14 46:1 54:18
inspector's 11:13	introduce 9:2 17:3 49:1	Keith 5:8 76:3	leaves 21:4 38:24 40:12
inspectors 12:5 74:17	introductions 4:21	Kelly 7:18	leaving 23:14 41:7 46:5 54:19
Inspects 68:23	invited 86:4	kicked 12:9	left 12:14 17:6 42:11,24 58:15
inspired 84:15	involved 63:25 78:24 82:7,16 83:19	kill 23:15	legal 5:18 20:3
instruct 41:2	issue 23:24 27:16,21 51:8 57:18 71:4	killer 9:9	legislative 8:23
instructed 29:9	issued 15:23	Kim 5:16	lending 78:25
instructions 19:16	issues 37:22 58:8 63:16 76:11 80:14	kind 22:1,9 26:16 29:19 31:6 37:22 51:16 57:15 65:4 68:12 77:20	liability 29:20 42:25
insurance 11:17	item 10:2,4,13 11:1,2, 12 13:17,18,25 14:4,13, 18 16:20 45:14 48:19, 20,21 56:1,9 65:24,25 69:4 72:10 73:1,5,7 86:18,22	Kirby 4:25	liaison 8:24
	itemization 69:13	knew 85:4	life 50:22
	items 9:17 73:8	knowing 32:23 81:12 89:2	light 51:21
	J	knowledge 76:8 83:25 87:6	lightly 83:7
		L	lights 51:16
	janitorial 55:16	Labor 9:1 86:21	lines 54:15
	Jeff 5:15 6:20 81:14 82:17		link 34:4 51:23
			list 19:16,19,22 20:23 26:14 28:24 29:2,10,16 49:24 54:4,24 58:1
			listed 17:22 45:8 58:13 59:4,15 66:20 67:4 69:12

lists 58:4,6	maintenance 26:20 50:4 51:8	Massengale 7:9	Menzel 6:4 87:9
live 54:7	make 4:11,19 10:18 14:8,11 20:3 22:10,17 26:18 31:15 34:8,15,18 41:9 45:10,23 46:11 47:3 53:2 56:2 58:24 61:19 63:3 64:19 66:14 69:6,9 74:4 77:23 87:4	match 44:9,10 51:22	metallurgical 82:4
lives 88:24	makes 17:18 28:7 36:17 38:23 39:21 89:4	matches 41:9	Metasys 65:1
living 88:23	making 21:11 22:12 32:3 39:17 43:3 46:3 47:20 52:6 67:6	materials 87:14	Micah 7:7
LLC 5:20,24 6:1 15:18 44:22	Malone 6:2	mates 78:21	Michael 12:3 74:17,18
load 51:21 56:12,15,20	man 18:20 77:23 88:4	Matt 6:6	microprocessor 49:22 50:14
local 50:10	management 51:25	matter 78:6	mid 81:17
located 13:19 16:12 49:12 50:17 58:17	manager 5:20,24 6:22 17:7,8,10 25:15 49:7	MAWP 16:6	Middle 75:4
location 51:13 52:5	managers 34:5 52:3	maximum 60:16,17	Mike 7:14 75:5
locked 25:22	managers' 26:14	mayor 82:21	mind 56:12 65:4
lockout 35:11	mandatory 65:25	Mccoy 6:14	minds 89:11
log 32:18,19,20 33:24 40:11,25 42:11,13	manned 16:14 17:15 27:6 38:22 57:4	Mcdavid 6:12	minimize 57:15
logging 43:6	manpower 44:24 51:6	Mcdonald 84:16	minor 54:6
long 15:6 24:5 38:2	mans 22:14 25:21	Mckee 7:10	minute 54:22 75:18
longer 13:6 21:20 87:1	manual 17:22 19:6 20:13 23:17 32:18 47:16,21 48:14 52:14 53:6 55:21 61:12 66:20, 24 70:8,10,13 71:11 72:5,11	meaning 84:19	minutes 11:3,5,6,8 21:20 22:7,10 27:4,10, 11,12 31:20 37:5,6 39:7,9 40:5,7,19,23 75:15
looked 34:21 37:23 39:15	manufacturer 71:18, 20	means 23:8 55:2 79:8 83:7	mispoint 31:1
loose 88:2	manufacturing 76:6 85:10,15 86:12	mechanic 57:19,20 68:3,9	missed 9:14
Lorenz 4:23	mark 7:12 42:24 74:22 75:4	mechanical 34:17 76:17	missing 70:15 71:6,8
loss 7:6,7 8:4	marshal's 50:20 53:24	mechanics 55:18	mistake 59:7,13 60:4
lot 20:7 36:12 54:5 79:6 87:17,18,21	Marty 5:21 12:10 15:16 86:1,2,4,7,9,12	medical 22:18,19 53:20	mistakes 77:24
love 44:4 60:18	Mary 6:10	meet 68:24 72:13 77:3 86:24	misunderstood 36:19
low 56:20 65:6	mass 53:19	meeting 4:6,15 11:3,5, 9,11 13:10 28:13 47:22 72:13 73:2 75:15 86:19	mitigate 57:18
low-water 65:7		member 5:7,9,11,13, 14,15 76:19 82:9	mixing 79:22
Lynn 4:25		members 9:3 14:15 15:13 71:9 75:10,16 82:14	Mobile 12:11
<hr/> M <hr/>		mention 13:25 33:4 67:16	modified 10:17
machinist 78:21		mentioned 20:24 31:16 38:20 55:7 56:13 62:25 64:18 67:13	Molson's 12:11
made 26:18 29:15 36:3 49:18 50:15 64:19 85:20 86:10		mentor 85:8	mom-and-pop 78:12 79:12
main 80:15			moment 9:24 11:25
maintain 23:2 58:6			Monday 12:10
maintaining 16:3			monitor 28:16 50:22 67:3
			monitored 21:17 25:16 55:18 64:24

<p>monitoring 50:17 51:24 54:1 55:17</p> <p>Morelock 4:2 5:10 7:11 8:19 9:13 10:19,22 12:17,24 13:14 14:17, 23,25 15:10 16:18,22, 24 17:5,12 26:24 27:5, 13,25 28:2,8,11,15,23 29:1 35:25 43:18 44:2, 16 45:3,5,16 46:7,11, 16,23 47:1,18 48:2,7, 10,18 53:11 54:21 55:25 56:3,5,8 58:10 65:14,20 66:6,10,17 67:10,15,17,23 69:1,10, 20 70:7,12 71:4 72:3,8, 20,24 73:4,13,19 74:13, 24 75:8 76:13,14 77:9 82:17,24 83:17 84:9 86:17 87:12 88:17 89:10</p> <p>morning 9:24 14:14 29:25 30:18,23 76:2</p> <p>motion 10:17,18,19 16:19,21 45:13,16,21 47:15,24,25 55:25 56:2 69:3,6 72:19,20</p> <p>moved 45:15 72:22</p> <p>moving 9:19,25 11:1, 12 48:20</p> <p>mud 79:22</p> <p>multiple 21:1 32:12 81:5</p> <p>Murfreesboro 77:11</p> <hr/> <p style="text-align: center;">N</p> <hr/> <p>nameplate 52:13 66:12</p> <p>nameplates 66:14</p> <p>names 9:10</p> <p>Nathaneal 7:5</p> <p>national 12:3,4 58:14, 18,19 76:23,25 84:13</p> <p>natural 9:20 49:18</p> <p>nature 57:6</p> <p>Navy 78:14,19</p>	<p>NBIC 67:7</p> <p>necessarily 35:9</p> <p>needed 33:14 41:17 54:18 69:7 74:3</p> <p>Neumann 7:12 74:22 75:4</p> <p>Newson 54:7,9</p> <p>NEXUS 35:6</p> <p>nice 66:13</p> <p>nicer 88:9</p> <p>night 24:14,16 27:9,15 32:14 38:2,4 41:18,20</p> <p>no-nonsense 77:20</p> <p>nonproduction 20:14</p> <p>nonproductive 27:15</p> <p>nonproductivity 20:14</p> <p>nonverbal 35:14</p> <p>normal 26:24</p> <p>note 64:19 67:12</p> <p>noted 44:20 48:11</p> <p>notice 32:18 44:5 50:25</p> <p>notifications 53:19</p> <p>number 11:16,19 13:11 58:15,18,19,21 66:11 76:7 82:6 83:3,22 88:21</p> <p>numbers 58:6</p> <p>numerous 16:1 31:3</p> <hr/> <p style="text-align: center;">O</p> <hr/> <p>O'BRIEN 8:10 49:5 53:12 54:10 57:4,22,25 63:14,19 64:16 66:4 68:20 72:7</p> <p>O'GUIN 5:2 12:15 13:1, 2,15 74:17 75:3</p> <p>observed 73:18</p> <p>obtain 58:20 61:16 70:20</p> <p>obtained 70:23 71:2,16</p>	<p>occur 56:13 84:17</p> <p>off-shift 28:5</p> <p>off-site 28:9</p> <p>office 50:20 53:24</p> <p>officers 53:20,21</p> <p>official 18:24 19:2</p> <p>offline 64:25</p> <p>Ohio 74:18</p> <p>older 67:18</p> <p>on-site 47:7</p> <p>onboard 87:12</p> <p>one-stop 51:17</p> <p>online 53:14</p> <p>open 12:8</p> <p>opening 16:24 20:24 56:5</p> <p>operate 13:21 48:23 49:14 50:1 55:13</p> <p>operates 22:23 59:19</p> <p>operating 16:7 25:7 27:11 35:8 40:21 50:11 52:6,11</p> <p>operation 16:15 51:18, 19 85:10</p> <p>operations 15:21</p> <p>operator 51:12 54:13 55:7 57:25</p> <p>operators 31:3 52:3,9 53:6 55:24</p> <p>opportunity 11:6 72:11 77:3</p> <p>opposed 10:23 48:7 66:21 73:4</p> <p>order 4:4,6,7,20 61:25 74:3</p> <p>organizations 16:2</p> <p>output 60:17</p> <p>outstanding 76:9</p> <p>overflowing 57:7</p> <p>overlap 24:15</p>	<p>oversight 25:16</p> <p>owner-user 20:8</p> <hr/> <p style="text-align: center;">P</p> <hr/> <p>p.m. 31:2 38:5 39:22</p> <p>panel 51:15 64:10</p> <p>Paolucci 5:19 17:7 18:2 19:11,13 20:5 25:20 30:5,19 33:1,8,16 34:11 39:23,25</p> <p>paragraph 67:13</p> <p>parameters 52:6</p> <p>parenthetical 43:23</p> <p>Park 9:23</p> <p>part 9:12 15:6,8 20:2 40:8,9 41:25 42:16 43:6 45:5 46:3,8,9 49:13 50:6 59:8,14 60:4 63:16 64:25 68:12 69:14 72:2 77:13 82:13 84:5 85:25</p> <p>parts 71:24</p> <p>party 18:1 19:8</p> <p>Pasminco 75:25</p> <p>pass 71:6</p> <p>passed 78:1</p> <p>password 25:24 26:5, 13,17 50:14 52:2 63:8,9 64:10</p> <p>passwords 25:18 26:15 33:23</p> <p>past 32:9 39:6</p> <p>patient 73:14</p> <p>patrol 21:23 32:24</p> <p>PC600 59:8</p> <p>people 4:19 9:16 25:1 28:14 30:16 50:21 52:10 53:3 55:19 78:18 86:24,25</p> <p>percent 13:3,4,5,6,11</p> <p>perception 71:3</p> <p>perfect 36:17</p>
---	--	---	--

perform 12:12 71:1	point 25:11 36:3,16,24 40:3 43:25 57:17 70:22 78:12 81:20 84:20	privy 42:17	publish 11:4
period 21:24 24:2,18 25:8 39:14 50:2	pointed 47:17	problem 19:23 27:18 44:16 51:11 72:4	pull 23:13 36:13
permits 50:11	points 64:6	problems 51:12	pulled 81:7,8 88:3
Perry 7:3	police 53:21	procedure 36:23 39:13 42:19 43:13 45:25 46:4 47:9	purpose 32:20 51:5
person 19:21 24:22 27:11 29:25 34:15 40:1 51:9 64:12 65:4 73:21 85:21	policies 18:8,22	procedures 29:10 36:8,20 37:8,9,12,14 46:3,15,24 64:21	purposefully 45:2
personal 39:6 54:16	position 12:8 16:16 29:20,21	proceed 15:11	purposes 26:14 65:10
personnel 9:21 50:19 56:23 66:23 71:15	positive 65:7	proceedings 89:13	push 28:19 49:18
perspective 76:10 89:6	possibility 23:7 63:10	process 11:10 18:15, 18 23:18 29:15 30:7,9 31:14 40:9 42:8 53:7 58:2 65:11	put 12:2 14:2 16:4 18:15,18 42:20 64:10, 21
pertinent 84:21	post 18:10,20	production 26:25 27:7, 9 30:4,12,20,25	putting 70:9 79:24
Peters 7:24	pour 79:23	productivity 24:12 30:24	<hr/> Q <hr/>
phenomenal 74:4	PPC 59:25	professional 76:24	qualifications 68:6
phone 14:1 73:15	PPC6000 62:7	program 20:2 53:8	qualified 15:25 16:15 17:17,18 19:23 20:19 21:2 24:20 31:4 38:6 44:22 55:20,24
phones 54:16	PPC6000S 59:5	programmer 62:20 63:3	quarter 13:7 84:14
physical 51:1	practically 85:6	proper 64:10	quarterly 11:8
picture 66:12	prefer 29:21	properly 14:8	question 14:5 24:8 25:14 29:24 35:21 36:22 48:5 56:11,21 82:18
piece 64:17	premises 24:17	property 21:23 32:25 33:1,2,7,9,11 39:3,5 57:8	questions 12:17,25 13:14 16:25 17:11,13 36:1 43:18 45:12 56:6 58:11 65:18 67:11,25 69:1
pipe 43:10,14,15 78:3	prepared 65:22	proposal 67:13	quick 9:19
pipng 68:11 87:14	present 14:13,18 40:1 41:12 42:11 49:1	protected 50:14 52:2 63:8	quickly 81:12
placard 45:24 46:1,8, 15	presentation 16:19 88:10	protections 26:6	<hr/> R <hr/>
place 9:22 16:4 18:15, 18 37:8	presentations 87:5,16	protocol 25:17 32:1	R-STAMP 67:7 68:15
plan 32:22 37:17	presenters 14:3	proud 84:5	R-STAMPS 68:6
plant 5:19 17:7 22:6 24:9,11,22 25:2,5,14 30:17 31:13 50:3 51:18 52:11,15 75:24	presenting 14:4	proven 85:12	radio 54:14
plates 68:10,14,21	presently 40:17,18 69:8	provide 14:6 25:15 49:25 71:22 76:10	Rainey 8:5
play 23:5,24 28:24 59:6	pressure 10:11 34:12 49:14 68:11 76:19,21 81:21 82:8,10 87:25	provided 58:19 66:12	raises 68:12
playing 22:11	pressures 16:7	psi 16:7,8 50:7	rambling 85:16
pleased 4:10 82:12	pressurized 52:12	public 53:20 54:13 67:1 75:11	Randall 6:18 7:18 88:1
pleasure 15:13	pretty 20:22 23:14 37:17 44:12 74:25 81:11		
plethora 83:25	primary 16:10		
plumber 78:3	prior 11:5		
	privileged 85:25		

Randy 8:5	related 44:20	request 10:3 16:25 49:1,9	return 21:15 41:3,7 43:15 54:20
range 52:9	relationship 81:11 88:12	requesting 13:20 48:22	returned 21:18
ranging 49:15	relationships 88:21 89:1	require 13:3,5,6 23:8 66:23	returning 21:9
Ray 7:9	relief 50:5,8	required 24:19 43:4 61:22 68:6 69:11	returns 40:12
reach 19:22	relieve 39:5	requirement 24:6 65:15 68:24 69:9,14	review 10:6 11:6 72:14
read 20:12 64:4	rely 27:17	requirements 13:22 48:23 56:23 67:3	reviewed 44:13
reading 27:4,10 40:23	remarkable 4:12	requires 22:18 23:4 30:7 68:15	reviews 70:8
readings 21:8 32:11, 12,21 34:7,12 40:6,8,19 41:8	remarks 20:24 59:2	requiring 22:21	revise 70:13
ready 9:18	remember 30:24 53:5 77:12 86:7,8	rescheduled 4:15	revised 67:23 68:19 70:8 71:10 72:11
real 55:2 75:20 78:11	remote 15:23 16:11,15 17:14,20,21 18:7,21 19:14 20:15,18 21:3,5, 14,20 23:3 25:12 27:6,9 28:16,21 33:23 36:5,12, 15 38:7,15,18 39:20 44:7 46:4 47:7,10 50:16,19 51:24 52:5 53:3 54:5,7 67:3	reset 35:10,12,15 36:10	revision 66:23 67:18
realize 55:12	remotely 34:21 63:1 64:6,8	resources 83:11	revisions 66:8
reason 9:9 36:6,12 55:11 59:9 66:2	removed 10:5,13	respect 14:2 84:22	rewrite 33:6 85:14
recall 84:12,24	Renfro 6:16	respected 84:3	Reynolds 5:25 17:8 18:4 22:1,4,15,19 23:11,21 24:24,25 25:4, 6,9 27:2,8 28:3,10,12, 18,25 31:19 32:3,7,15 33:12 36:9,21 37:16 39:2,11 40:3,14,18 41:10,23 42:5,9,18 43:1,9 48:17
receive 53:3	renumbered 44:7	respond 57:7,15	Rhone 8:25 73:24
received 50:11 55:10 70:14	repairing 68:25	response 35:14,21	Richard 7:22
recess 73:18	repairs 67:6,7 68:10,23	responsibilities 17:21 22:2 24:1 45:8	ride 80:8
reconvene 73:16	rephrase 33:5	responsibility 18:4 19:9 20:4,9 21:6 22:25 25:25 29:10 31:12 44:11	risks 37:24
record 40:20 43:16 45:9	replace 68:13	responsible 53:1	Riverport 13:19
red 68:13	replaced 50:6	rest 31:2	road 13:19 64:1
reduce 51:6	replaces 68:9,10	restart 29:17,22 55:20, 22	Robinson 84:8,10 86:9,14
reduction 57:5	report 11:13 12:15,16 13:1,13 29:7	restarted 36:15	rode 80:11
reference 71:15	reporter 4:22,24 11:4 14:8	restarting 55:19	role 19:14 28:16 38:8
referring 61:13 65:23	represent 15:18	restored 55:14	roles 20:15 47:12
refresher 53:4	representations 15:25	resubmit 72:1	roof 78:5
regard 19:10 25:16,17 76:10	representatives 17:3	resume 30:9	room 16:13 21:8,9,18 25:23 29:12 41:9 51:24 73:23 80:9 89:1
Regents 49:14	represents 76:19	retire 78:17	rooms 22:6 80:13
registration 9:4		retiring 79:6	Rosa 9:23
registrations 16:1		retubes 79:24	roughly 50:1
regular 74:1			
regulation 32:10			
reinspection 13:5			
relate 15:7			

<p>rounds 21:7,11 22:3,4, 10,12 25:13 32:4 38:23 39:17,20 40:4 41:15</p> <p>row 51:16</p> <p>rule 13:23 40:22 46:9, 13,15,17,20 48:24 51:4 55:13 67:19,20</p> <p>rules 4:3 67:19,24 78:25 86:19</p> <p>run 24:9</p> <p>running 56:19</p> <p>runs 24:12 38:4</p> <p>Ryan 12:3 74:17</p> <hr/> <p style="text-align: center;">S</p> <hr/> <p>safe 9:22 16:4 31:15 86:16</p> <p>safety 9:19,24 16:1,10 18:5 20:2,25 31:9,11 35:9 50:21,22 53:20 54:13 65:12 67:1 68:24, 25 75:11 79:1 80:14,15, 22 82:15 84:20</p> <p>salespeople 81:3</p> <p>Sam 5:4 7:1 10:6 73:23</p> <p>Sanders 6:8</p> <p>sat 87:5</p> <p>satisfy 42:19</p> <p>scared 85:4,19</p> <p>schedule 25:19</p> <p>Scott 8:3</p> <p>screen 35:13</p> <p>Sean 5:25 17:8</p> <p>search 52:20</p> <p>seated 17:8</p> <p>second-tier 55:23</p> <p>secretary 5:1</p> <p>section 17:22 44:5 52:16 71:22 82:9</p> <p>security 9:21 16:16 17:16 18:10,19 19:7</p>	<p>22:2,18 23:2 24:9,19,22 25:1,3,4,16,21 26:21,25 31:22 38:1,7,13 41:19 50:23 55:16 63:15,21 64:2</p> <p>self-checking 52:1</p> <p>self-cleaning 80:18</p> <p>selfless 75:10</p> <p>selling 60:18</p> <p>send 71:8 72:11</p> <p>sense 36:17 46:12 47:3</p> <p>sentence 84:18</p> <p>separate 62:15 70:5</p> <p>September 4:3 11:11 77:18</p> <p>serial 66:11</p> <p>serve 16:16 28:16,21 38:8 47:12 75:19 76:3, 17,22</p> <p>served 77:11 82:10</p> <p>service 5:23 17:9 26:19 34:16 51:7 52:9 57:9 63:9,17 75:11 80:10 81:3,5</p> <p>services 6:23 8:15 49:4 55:17 83:10</p> <p>set 19:16 41:11 50:6 51:15 64:5,6,7 88:1</p> <p>sets 52:20</p> <p>setting 64:11</p> <p>settings 26:6 34:13 50:8</p> <p>shack 38:24 41:7,8 46:19</p> <p>shake 4:11</p> <p>shaking 35:22</p> <p>shame 82:20</p> <p>shape 22:9</p> <p>share 76:8 79:8</p> <p>sheet 66:8,14 79:24</p> <p>sheets 79:25</p>	<p>shift 18:11 20:15 24:12, 14,16 27:3,8,15 28:6 31:17,19,22 32:14 38:2, 4 43:22 54:12 55:7 56:23 57:12</p> <p>shifts 30:1 41:13 43:20 55:6</p> <p>shop 76:6 79:12 86:2,4, 6,10</p> <p>shops 78:12</p> <p>shortage 44:24</p> <p>shove 28:19</p> <p>showing 42:11</p> <p>shown 51:14 84:23</p> <p>shows 60:16,17</p> <p>shut 23:13 27:17 28:21 29:14 30:1 36:6 37:21 81:23</p> <p>shutdown 44:23</p> <p>shutoff 17:15</p> <p>shuts 36:14</p> <p>shutting 30:15</p> <p>sic 59:8</p> <p>side 9:23 15:14 63:17 83:19</p> <p>sign 41:3</p> <p>significance 88:11</p> <p>significant 82:25</p> <p>silence 14:2</p> <p>simple 23:14</p> <p>simply 44:3</p> <p>Simpson 7:20 74:21 75:4</p> <p>sir 4:17 24:25 25:9 32:16 60:22</p> <p>sit 15:13 86:3</p> <p>site 23:15 27:1 28:8,10, 11,12 31:1,5,10,23 32:22 38:6,9,17 45:18 48:13 54:23 72:15</p> <p>site-specific 53:13</p>	<p>situation 29:3 30:3 47:13</p> <p>situations 20:13 37:11</p> <p>Sitz 7:1</p> <p>size 49:15</p> <p>slack 88:5</p> <p>small 51:12</p> <p>smaller 51:20 57:2</p> <p>Smith 8:7</p> <p>smoke 39:1,2</p> <p>smoking 39:3,4</p> <p>Snyder 6:10</p> <p>Sofix 5:20,24 6:1 13:19 15:18,21,24 18:7,10,22 19:9 20:4,22,24 24:16 29:6,20,21 31:2,8 37:9 38:5,9 39:25 44:22 47:6</p> <p>software 27:17</p> <p>sole 27:3 31:12</p> <p>solutions 44:24</p> <p>somebody's 28:6</p> <p>sort 58:8 82:15</p> <p>sounds 27:18</p> <p>space 49:25</p> <p>speak 14:9</p> <p>speaking 33:21 69:13</p> <p>special 76:25</p> <p>specials 10:4</p> <p>specific 66:20</p> <p>spend 74:2</p> <p>spent 80:2</p> <p>spirit 85:14</p> <p>stack 80:18</p> <p>staff 9:2 56:24 57:5,10, 11 74:11</p> <p>staffed 50:18 75:7</p> <p>stamped 42:7</p> <p>stand 87:9</p>
--	---	--	---

standby 51:19 52:23	stored 41:24	tabling 73:1	15 82:16
standing 64:10	storms 37:18	takes 20:8,24 39:2 73:7	things 4:8 12:1 13:24 28:19 44:18 58:3 63:7, 11 78:1,16 79:4 80:13, 14 84:20 85:6,9,11 87:21 88:11
standpoint 20:3 81:16	story 4:12	taking 12:4 21:8 27:10 40:4,23	third-party 18:6
start 4:21 9:11 13:24 30:16 54:12 55:6	stress 31:11	talk 64:2 75:18 86:24 88:12	thought 58:20 59:9 65:10 66:24
start-ups 80:17	stricken 59:24	talked 45:25 78:2 82:21,22	throw 85:6
started 15:21 77:18 78:15 81:17 84:12	strides 15:25	talking 27:24 42:23 43:19 59:16 82:22 84:2 87:7	thunder 87:15
Starting 49:17	strips 54:8,9	tanks 52:12	Tiffany 8:18 9:5
starts 24:13,14	stroke 44:6	Tanner 84:25 85:5,17	tight 88:3
state 5:2 6:24 7:1,3,12, 14,16,18,20,23,24 8:7, 9,11,13 11:16,21 13:3, 12 14:7 45:19 48:21 49:6,11 50:10,20 53:21, 23 54:23 68:14 71:8 72:11 76:4,20 77:1 80:9 83:20 84:1,5,11 87:1	strong 31:8,9	team 9:12 87:14,19 88:19,20 89:8	Tim 6:2,24
stated 17:14 23:22 34:15 35:4 49:24	strongly 86:23	tech 5:23 85:9 86:12	time 4:19 15:22,24 20:14 21:16,17,19,25 24:4,21 25:8 30:7 31:3 32:9 37:7 38:6,19 39:14,18 40:4,6 41:6,16 42:6,20 43:3,6 51:3 54:18 64:15 72:5 73:16 74:2 78:13 80:2,7 82:3 83:11 85:18 86:24
statement 44:21 45:7	students 51:7 57:10	technical 33:22 76:11	timed 42:13,15,16
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	study 78:4,7	technician 17:10	times 25:1 28:5 30:25 42:23 53:18 77:22 79:19 80:16
stated 17:14 23:22 34:15 35:4 49:24	stuff 19:4 79:23 80:17 89:5	technicians 63:9	timing 30:6 37:3
statement 44:21 45:7	subcommittees 79:1	techniques 86:12	title 20:16 66:21
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	subjective 85:12	technology 44:4 82:11	today 4:10 13:2 15:18 17:4 60:21 70:14 71:7 75:10 80:13 82:18 83:23
stated 17:14 23:22 34:15 35:4 49:24	Subparagraph 10:10	techs 26:19 34:16	Todd 8:12 49:6 52:25 53:8 58:1
statement 44:21 45:7	subsidiary 85:10	telling 70:1	Todd's 50:25
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	successful 45:18 48:13	temporarily 30:9	told 62:8
stated 17:14 23:22 34:15 35:4 49:24	suggested 71:22	ten 80:7	top 53:5 60:24
statement 44:21 45:7	summer 51:21 56:14, 16,20	Tennessee 4:3 8:11,12 10:4,9 11:9 12:9 13:20 45:19 47:22 48:15,21 49:6,11,13 50:12 68:14 75:4,5,6,25 76:4,20 77:1,11 80:10 83:20 84:11 85:2,20,21,23 86:18,20 87:2	total 11:18,19,20,22 60:1
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	Super 63:18	terms 20:21 43:21 52:16	totally 74:9
stated 17:14 23:22 34:15 35:4 49:24	superiors 59:4	Terry 4:10 5:14 79:16 81:1,9	Toth 5:21 12:10 14:14 15:12,16 17:2,6,17,19 18:1,13 19:1,5,11,24
statement 44:21 45:7	supervisor 28:6	Terry's 4:12	
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	supervisors 28:4	test 65:6 74:25	
stated 17:14 23:22 34:15 35:4 49:24	surpass 24:5	thankful 75:10 76:16 77:2,13 79:11 87:1	
statement 44:21 45:7	system 16:10 21:4 25:17 34:6 35:6 41:17 51:22,25 52:1,23,24 53:14 59:4 60:2 61:9, 13,20 62:18 63:16 64:24 69:22,25 71:16	thing 23:13 76:8 80:6,	
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	systems 62:15 69:19 71:24 80:2		
stated 17:14 23:22 34:15 35:4 49:24	T		
statement 44:21 45:7			
station 16:12 17:15 21:20 22:14 23:3,4,8,12 27:6 36:5,11,12,15,25 39:16 43:17 50:16,17, 19 51:24 53:3,15,24 54:1,5,20 55:9 58:5 64:13	table 11:7 72:10,19 73:5 76:18 83:19 89:4		

20:6,11 21:10,12 22:1 23:23 24:11,23 25:10 26:1,9,12 27:20 28:1 29:4 30:21 32:17 35:3 37:1,7,14 38:4,12,15,20 39:19,24 42:9,15 43:24 44:3 45:1,4 46:10,21 47:5 48:16 83:16,18 86:8,13	<hr/> U <hr/>	vast 83:2	war 77:19 78:13,15
touch 66:13	ultimate 20:8	vendor 53:13	warehouse 22:5
tour 31:10	unauthorized 50:15	verbal 35:21	water 50:1 65:6
traffic 31:23	uncorrected 11:25	verify 42:3 64:14	ways 78:10
train 29:1	understand 4:17 37:4 54:5 78:10	versus 29:22	web 34:25 52:4
trained 18:7 29:6,7,23 31:4 50:21 53:17,19	understood 36:18	vessel 13:21 81:22 82:8,10,18 87:19,25	Wednesday 86:20
training 5:22 12:11,12, 14 15:17 17:20 18:8,16, 17,18 20:17,18 28:18 29:6 36:24 40:9 45:9 46:24 47:8,10 52:25 53:1,2,8,13,14 73:25	unfired 10:10 12:20 76:19	vessels 10:3,8,11,12 11:20 12:20,21,22 48:22 52:13 76:19 87:14	week 12:13
transcript 35:22	unilever 10:2	veteran 77:19	weekends 39:23,24
transfer 87:6	unintended 37:23	vibrate 14:2	weeks 58:17
travel 84:1	Unison 48:6 73:3 74:20 83:15 84:7	video 41:24 42:6	welded 81:21 82:18
trip 29:11	unit 8:17,18 9:1,3,6 12:12 74:15 83:5	violations 11:24	welder 78:3
tripod 88:2	universities 63:24	virus 27:16	welders 81:21
troubleshoot 19:23	university 8:11,13 48:22 49:6,11,12 54:8 63:14 76:5	visit 31:11 45:18 54:23 72:15	welding 82:5
troubleshooting 19:20	unthought 37:23	visiting 21:8	west 12:9 52:15 75:5
trump 81:15	updated 66:15	Visually 35:19	wheelbarrow 79:23
tube 16:5 79:24,25	updating 48:14	void 21:14	whew 84:19
tubes 52:19 68:10,14	upset 85:20	volume 10:11	wider 78:23,24
turn 9:8 11:13 65:21 83:4	utilize 16:9	volunteer 83:10	wife's 81:19 82:1
turning 25:12	<hr/> V <hr/>	vote 15:1,2,8 62:1 69:9 71:6 72:4	William 8:1
turnover 18:17	vacant 39:16	voting 10:24 45:20 48:11 73:5	winched 88:2
two-hour 53:4	valve 50:8 68:25	<hr/> W <hr/>	Windsor 82:20
type 22:16 42:6 52:18, 20 55:23 83:24	valves 50:5 68:24	W-H-E-W 84:19	word 7:16 23:5 44:4 84:19
Typical 51:18	variance 12:15 13:6,7, 21 15:19,23 16:11,15 17:1 21:5,14 32:1 37:11,15 38:21 39:15 40:24 41:6,22 42:17 43:4,7 44:18 45:17 46:4,8,12,19 47:2,9 48:13,22 49:2,10 51:5, 11 55:12,15 61:22 67:6, 14 72:15	wait 51:10 55:8 72:4	words 39:16 84:15
Typically 52:22	variances 13:3,12 20:7	walk 22:5	work 15:4 30:8,12 38:9 43:13 75:19 77:3 78:6 82:5 84:4,5 85:2 87:18, 22 88:9,19,20 89:3
typo 66:3,4		walked 85:2	worked 79:19,20 80:3 81:19
		walking 33:13	working 12:5 47:6 52:24 53:12 88:22 89:4, 7
		walks 38:24 41:13	works 42:18 63:15
		wand 43:12	World 77:19 78:13
		wanted 9:2 73:22 75:14	worry 36:13
		wanting 81:9	write 64:5 84:16
			writings 84:22
			written 36:21

wrong 67:13

Y

y'all 73:12,14 74:7 77:3

81:15 83:2,6,7 86:23

89:7,12

year 12:7 49:19 50:2

53:4 82:1

years 52:9,10 75:13,23

76:1,7,15,20,21 77:12,

17 79:5,18 80:7 82:6,9

83:3,21 84:12,24 86:25

years' 82:2

yell 85:6

young 87:24

Z

Zinc 75:25